

VERBATIM PROCEEDINGS

CONNECTICUT STEM CELL RESEARCH GRANT REVIEW

JUNE 7, 2010

8:30 A.M.

LEGISLATIVE OFFICE BUILDING
300 CAPITOL AVENUE
HARTFORD, CONNECTICUT

POST REPORTING SERVICE
HAMDEN, CT (800) 262-4102

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 . . .Verbatim proceedings of the
2 Connecticut Stem Cell Research Grant Review, held at 300
3 Capitol Avenue, Hartford, Connecticut, on June 7, 2010 at
4 8:30 a.m. . . .

5
6
7
8 CHAIRPERSON ROBERT GALVIN: For those of
9 you who aren't familiar with this room, the microphones
10 only work when you press the little red button down and
11 the light lights up. When you're through talking, if you
12 don't shut your mike off, the next person can't -- it
13 won't accommodate the next person, so you have to do it
14 one-by-one.

15 And if you leave your mike on and mumble
16 under your breath, it will be picked up, because these
17 mikes in this room are very sensitive. We are in the
18 Legislative Office Building. This is a public room, and
19 you will see people wander in and out from time-to-time.

20 Some of them are curious about stem cells.
21 Some of them are just looking for something else. So if
22 you see people come in and sit down and get up, that's
23 sort of the nature of the beast here.

24 The rules say that you can't bring food

POST REPORTING SERVICE
HAMDEN, CT (800) 262-4102

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 into this room. I don't think anybody is going to yell at
2 you if you bring a doughnut or something like that, but
3 don't bring a meal back in here, or a big sandwich,
4 although I see it done all the time when we're in session,
5 but, for our purposes here today, don't do that.

6 The building closes at either 5:15 or 5:30,
7 and there are no exceptions to that, so we will have to
8 exit promptly at the end of our assigned time. We will
9 have a 45-minute lunch break and two 10-minute breaks
10 during the day. Marianne suggested, what, 11:45?

11 MS. MARIANNE HORN: As close to noon,
12 wherever we get to.

13 CHAIRPERSON GALVIN: Yeah. When we can
14 make a break that makes sense, as close to noon as we can,
15 we will do so. The cafeteria is directly below us. The
16 food is ordinarily quite good and very clean. You can
17 make your own. You can get a sandwich. You can get a
18 regular sit down meal, whatever you want.

19 There are bathrooms downstairs, but if you
20 go out the door, the door to my left and take an immediate
21 left, there are restrooms right there, so you don't have
22 to go all the way down, up and down the stairs.

23 We have a great many grants, some of them
24 of great merit, to discuss today. We are starting this

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 later in the calendar year than we thought. We were
2 unaware that the 10 million dollars had been put in our
3 account until one of our accountants noticed it.

4 It appeared in mid/late April, with no
5 preamble. We had heard it was going to be five million.
6 Sometimes it was nothing. We heard it was nothing, but we
7 got to 10, and we have had zealous advocates.

8 We lost the money a couple of times and got
9 it back, and we'll remind you all that next year, the next
10 cycle is not very far away. I will also remind you that
11 there will be a change in state government, and it's up to
12 all of us, who are acquainted with, or asked to give aid
13 and comfort to office seekers, to let them know that we
14 certainly may be very inclined to do different things for
15 them, but that we want our stem cell budget kept intact.

16 As you know, these are hard times, and
17 there's no guarantee we'll have 10 million next year, but
18 we've got 10 million now, and, so, we'll get on with the
19 business of deciding which grants are going to be funded.

20 MS. LYNN TOWNSHEND: Good morning,
21 everyone. My name is Lynn Townshend. Thank you for
22 coming today to the 2010 Connecticut Stem Cell Research
23 Advisory Committee grant consideration meeting. My
24 apologies for my tardiness. We were transporting people

POST REPORTING SERVICE
HAMDEN, CT (800) 262-4102

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 from the hotel over to the meeting.

2 There are 89 grants that will be considered
3 today at 9.8 million dollars in grants and aid for
4 Connecticut Stem Cell Research Fund or from that fund.
5 These funding decisions are not binding until the final
6 vote takes place.

7 As a committee, the right is reserved to
8 change grant categorization. That is yes, no, or maybe,
9 until the final and concluding vote takes place at the end
10 of the meeting.

11 To the committee, good morning, and, once
12 again, thank you so much for all of your hard work in
13 reviewing all of this information, all of these grants in
14 advancing stem cell research in the State of Connecticut.
15 It is certainly appreciated.

16 Regarding the discussion and voting, please
17 know that only committee members are eligible to vote on a
18 grant, and they may participate only in the discussion of
19 the grants for which they are eligible to vote.

20 If you are not eligible to vote on a grant,
21 due to a conflict of interest, please do not participate
22 in the discussion of that grant consideration.

23 The first two categories for consideration
24 are those, today, are those of core and group grants.

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 Applications in these two categories, regardless of their
2 peer review score, will be described by the team of
3 committee members assigned to review that grant for a
4 period of approximately five minutes.

5 The five-minute description period will be
6 followed by a committee discussion period of about 10
7 minutes, after which Dr. Galvin will ask if there are any
8 objections to placing the grant application in a
9 particular category, that being yes, no, or maybe, as
10 determined by group consensus. That's by the committee
11 members who are eligible to vote on that grant.

12 If you have any objections and you are
13 eligible to vote on a grant and wish to see an application
14 placed in a category, other than that of the consensus of
15 the eligible group, please make your objections known
16 immediately.

17 That objection automatically places the
18 application under the maybe category, so that this grant
19 may be considered during the second phase of the process.

20 After all of the core and group grants have
21 been considered, the maybe and yes grants from these
22 categories will, again, be discussed with a four-minute
23 time frame. The no grant applications will be eliminated.
24 Again, that is not final until the final vote takes

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 place.

2 The remaining categories will be considered
3 similarly, as outlined with the following time limits.
4 Seed grant proposals scoring 6.0 or above will receive a
5 one-minute description and discussion. Seed grant
6 proposals scoring 5.9 or below will receive five minutes'
7 description and discussion.

8 Established investigator grant proposals
9 scoring 6.0 or above will receive a one-minute description
10 and discussion, and established investigator proposals
11 scoring 5.9 or below will receive five minutes'
12 description and discussion.

13 Please do what you can to respect these
14 time limits. I know that much discussion will be going on
15 today. This was the time limit agreed to, approximately,
16 by the committee, and, again, please express your
17 objections and opinions according to the process in place
18 that was decided at the last meeting.

19 Full funding considerations will be held
20 until the end of the consideration of all grant
21 categories. Roll call votes will be conducted only for
22 final decisions regarding grant funding.

23 Because this is a public meeting, where
24 most deliberations are to be heard by all, it is

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 imperative that committee members refrain from discussing
2 grant applications among themselves, with others, such as
3 audience members, or potential grantees, or DPH staff, and
4 the media, if they are here, during breaks, lunch, or off
5 hours tonight or tomorrow, if we move into tomorrow.

6 There may be a need for the committee to
7 adjourn to Executive Session to consider a grant proposal
8 or proprietary information contained in the proposal as
9 pertinent to the decision making. During that time, the
10 audience will be asked to leave the room and will be
11 called back in when the Executive Session is concluded.

12 Two 10-minute breaks and a 45-minute lunch,
13 as Dr. Galvin mentioned, have been planned during the
14 course of the meeting. Lunch is on your own. There is a
15 cafeteria, as he said, right below us, and your adherence
16 to these time limits is also appreciated.

17 To the audience, lots of familiar faces
18 over there today. Thank you for attending this open grant
19 consideration meeting. As you've heard, there's lots of
20 hard work to be done today, 89 grant proposals to be
21 considered, and, again, very hard work to be completed by
22 the committee members. We respectfully ask that
23 conversation within the audience be kept to a minimum.

24 You are welcome to continue any

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 conversation in the hallway and return when you are
2 finished. We thank you in advance for not addressing
3 questions about grants under consideration to committee
4 members on break, during lunch and between days of the
5 meeting.

6 Should it become necessary for the
7 committee to move into Executive Session, a period of two
8 minutes will be allotted to allow audience members to move
9 to the hallway, and, again, as I said, we'll notify you
10 when the Executive Session has ended.

11 Finally, a period of public comment will
12 take place at the end of this meeting after all grant
13 funding decisions have been made. We ask that you refrain
14 from comment until that time, unless specifically called
15 upon by members of the committee for the purpose of
16 clarity regarding a grant application.

17 At this time, if you would please silence
18 your cell phones, Blackberries, laptops and other
19 electronic instruments? It's much appreciated and away we
20 go.

21 CHAIRPERSON GALVIN: I would just interject
22 one remark. If you're in the cafeteria, there are lots of
23 ears in the cafeteria, and you have no idea, I'm sure most
24 of you don't, about who is sitting just behind you or next

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 to you, so I would suggest that you do not have any
2 substantive discussions of the grants while you're in the
3 cafeteria, even for coffee. It's not a private area at
4 all.

5 Marianne, I cannot vote on UConn or Yale,
6 and Marianne advises me that the individuals who can vote
7 on Yale exclude?

8 MS. HORN: Dr. Genel and Dr. Latham. In
9 general, there may be other people, who, on an individual
10 grant, have a conflict, but I'm not aware of those. And
11 then, on UConn, Dr. Hiskes and Dr. Goldhamer are excluded
12 from UConn votes. Thank you.

13 DR. MILTON WALLACK: Milt Wallack. Are
14 they going to be able to discuss the grants, Marianne?

15 MS. HORN: No. They don't take part in the
16 discussion or the voting on those particular grants where
17 they have a conflict.

18 CHAIRPERSON GALVIN: Let's go.

19 MS. TOWNSHEND: The first grant for
20 consideration this morning is 10SCD01, Dr. Antic. The
21 title is Stem Cell Physiology and Core Chemistry, the
22 institution is UConn, the peer review score is 2.0. This
23 is a core grant, and five minutes of description by the
24 grant -- do you have a list of that? Would you be able to

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 provide me with that list? Thank you, Darling.

2 That would be Fishbone and Hart. Five
3 minutes of description, please. Kiessling and Latham. I
4 apologize.

5 DR. STEPHEN LATHAM: Sorry. I'm one of
6 them. I think Ann might be the other on this.

7 MS. TOWNSHEND: Kiessling and Latham.

8 DR. LATHAM: And I'd appreciate it if Ann
9 would go first.

10 DR. ANN KIESSLING: This is an interesting
11 core grant application from not a really established
12 investigator, but somebody who has a strong background in
13 neurophysiology.

14 This is an interesting idea. The score
15 that we see, this 2.0, is quite a bit higher than the
16 enthusiasm reflected in the criticisms of the grant
17 reviewers, and, when I looked through this, I actually had
18 some of the same concerns, so although it's scored at 2.0,
19 what they say and what I take from this is a little bit
20 more like a 2.5 or so.

21 This is a very large amount of money. It's
22 \$600,000, I think, and they're proposing to establish a
23 neurophysiology core, so that stem cells that are
24 differentiated from any source, embryonic stem cells, IPS

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 cells, can be tested for real nerve function, and this is
2 a really good idea.

3 The common use of simply gene expression to
4 decide something that's going down a neural pathway has
5 sort of run its course, and now what we really need are
6 some very fine-tuned methods for seeing if the cells that
7 are created can actually conduct nerve impulses, that sort
8 of thing, and he's got about six different ways that
9 they're going to do this, but I think this needs to be
10 considered, in terms of the other, some of the other
11 really large grants we have, and I would, at this point,
12 not recommend anything, except a maybe.

13 CHAIRPERSON GALVIN: Further comments?

14 DR. LATHAM: Yeah. Steve Latham. I was
15 actually inclined to put this in the yes category, because
16 although -- the main criticism that I worried about in the
17 peer review was the question of how this core facility
18 would be made available to researchers elsewhere in
19 Connecticut.

20 Part of the proposal outlines, mentions by
21 name the various researchers around Connecticut, who are
22 doing research that might benefit from this core, but the
23 question is whether the functionality of this core can
24 actually be delivered reasonably and efficiently to

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 researchers off site.

2 Having said that, though, I thought that
3 the peer review, even at Ann's modified 2.5, was the best
4 score of all the proposals I was given to review, and I
5 also thought that it sounded like the peer reviewers all
6 thought that the basic idea was a very good one.

7 On the other hand, I'm well aware of my
8 status as a layperson, and if Ann wants to put it in a
9 maybe, I'm happy to join her in that as a bottom line
10 recommendation for now.

11 CHAIRPERSON GALVIN: Do we have a consensus
12 to put it into maybe? Further comments?

13 MR. ROBERT MANDELKERN: While I respect Dr.
14 Kiessling's input on it, this grant for \$600,000 for a
15 core, which is a new core, received the second highest
16 score out of 89 grant applications. The only one before
17 it is a 1.8, and I think that this has some significance.

18 And he does talk about fee-based, the use
19 of the measurement core, and I feel that given the
20 importance of measurements and the going forward, that a
21 reasonable amount of \$600,000 for a new core is
22 reasonable, and I would prefer to see it in the yes
23 category.

24 CHAIRPERSON GALVIN: Well that's five

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 percent of our budget, so go ahead, Paul.

2 DR. PAUL PESCATELLO: I just have a
3 question for the non-laymen. Is this core, is this
4 infrastructure really something that we need to duplicate
5 in Connecticut that's not available for the scientists to
6 use from other providers?

7 DR. KIESSLING: I'm happy to answer that.
8 What he's proposing are methods that are not available in
9 standard laboratories, especially standard stem cell
10 laboratories. They're going to do some electrophysiology
11 that is not routine and that a lot of cell biologists
12 don't really understand how to do, so, no, this would be a
13 unique resource.

14 I think they have some discussions in here
15 about how they would share it. I was actually just trying
16 to go back through and look for my notes on the budget,
17 and it's well written, but it's a lot of, it's a huge
18 percentage of this budget, and, so, I'd kind of like us to
19 hear from some of the other large applications before we
20 make a final decision on this one.

21 CHAIRPERSON GALVIN: Milt?

22 DR. WALLACK: I think there's value in
23 establishing this core, and I certainly would agree to
24 leave it in the maybe category.

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 I'd like to ask the question, however, if
2 my memory serves me correct, when we put out the RFP for
3 this round of grant requests, I seem to remember that we
4 specifically indicated that it would be our preference,
5 and I'm addressing this, I guess, to Marianne, that it
6 would be our preference if we could hopefully not fund
7 cores, except if it was a situation that supplemented what
8 was already existing or was crucial for that core going
9 forward.

10 So I just want to put that on the table, if
11 my recollection is right, but I certainly would agree to
12 keep it in the maybe category with reservations.

13 CHAIRPERSON GALVIN: Core funding, these
14 are from our notes, core funding is not a priority for
15 this round of funding. Some additional core funding may
16 be considered for applications with novel or unusual
17 scientific merits. Your memory is correct. Ron?

18 DR. RONALD HART: I notice that the
19 reviewers pointed out that there was no oversight
20 committee proposing the grant. If it were to be funded,
21 could we impose one that included all of the sites that
22 are funded statewide to try to encourage collaborativity?

23 CHAIRPERSON GALVIN: I'm not sure I
24 understand your question.

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 DR. HART: The grant, itself, did not
2 include a scientific oversight committee, which is common
3 for a large core like this.

4 CHAIRPERSON GALVIN: Got it.

5 DR. HART: I'm asking whether we could
6 impose one, require that one be appointed if this were
7 funded.

8 CHAIRPERSON GALVIN: We can do pretty
9 nearly anything reasonable that we'd like to do.

10 DR. HART: Well I'm suggesting it.

11 CHAIRPERSON GALVIN: For the money, you can
12 say this is what we expect.

13 DR. KIESSLING: I don't want to imply any
14 kind of negative anything about this core. My concern is
15 the size of the budget and what else we have before us and
16 since I haven't read all the grants in detail, and I know
17 some others have pretty good scores.

18 There's a paragraph in this grant
19 application that says, "Explanation of the need for a new
20 core," and I think this is appropriate for everybody to
21 hear. This is from the investigator.

22 "Although we are aware that core funding is
23 not a priority for this round of funding, we feel that the
24 proposed facility has enormous potential to advance stem

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 cell research throughout the state.

2 So far, we have witnessed the development
3 of three core or semi-core facilities. The UConn stem
4 core provides frozen and fresh stem cell lines, feeder
5 lines, and some basic testing.

6 The translational genomic's core performs
7 micro ray studies. The flow cytometry facility, which is
8 not exactly a core that we funded, but exists, performs
9 sorting and separation of fluorescently labeled cells.

10 None of these three core facilities is
11 dealing with basic aspects of cellular chemistry and
12 physiology," and that's correct, so it's really going to
13 be a matter of whether we're going to balance this
14 particular technical advance, which is going to,
15 undoubtedly, be a big help to the neurophysiology or the
16 people who were studying neuronal development against some
17 of the other big, nice grants we have.

18 CHAIRPERSON GALVIN: Okay. We've spent
19 twice as much time as we allocated already. Okay, well,
20 we're up on the 10-minute level now. Are we ready for a
21 consensus vote? It's going to be a long couple of days if
22 we spend this much time on each individual grant.

23 MR. MANDELKERN: Thank you, Dr. Galvin.
24 This is a unique grant, and I would like to just point out

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 that it is only 60 percent of the dollars of an
2 established investigator grant, and it is, of course,
3 three starter grants, which I've lost the word.

4 So in terms of the dollars for what is
5 being proposed, I think it's a unique function, and I
6 would still go along with the maybe, but I think, in the
7 later discussion, these facts should be born in mind.

8 CHAIRPERSON GALVIN: Do we have a consensus
9 to put it into maybe, or do we have further comments?
10 It's a maybe. Let's move on.

11 MS. TOWNSHEND: Next grant is 10SCC01, Dr.
12 Rachel O'Neill. The title is Neuron Differentiation of
13 Human Embryonic Stem Cells and Patient Derived IPS Cells.
14 The peer review score is 4.3. Five minutes' description,
15 10 minutes' discussion, and this one is Dr. Fishbone and
16 Dr. Hart.

17 DR. HART: I guess I've been elected to
18 start this one. This is a very nicely outlined group
19 grant from Dr. O'Neill and colleagues, proposed to find
20 what they call a complete understanding of gene expression
21 patterns in stem cells and induced pluripotent stem cells.

22 The reviewers were very thorough in their
23 consideration, and they had a lot of very complimentary
24 comments, including that it was an excellent group grant,

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 however, they identified a number of shortcomings
2 scientifically, primarily issues of biological replicates
3 and a little bit of broad scope and hard to find focus
4 within the description, so the score ended up at a 4.3.

5 Even though this is proposing to use
6 embryonic stem cells, one of our criteria for funding,
7 although I believe the lines that are proposed in here are
8 all NIH eligible, there's not a direct strong connection
9 to human health, another one of our criteria, and, so, I
10 propose a no for this one.

11 CHAIRPERSON GALVIN: Further comments?
12 Second reviewer?

13 DR. GERALD FISHBONE: I have nothing to add
14 significant to Dr. Hart's comments. There were a
15 significant number of negative comments from the
16 reviewers, which I think like what are they going to do
17 with all the data that they collect? It didn't seem to be
18 leading anywhere, so I would agree with his assessment.

19 CHAIRPERSON GALVIN: Okay. Further
20 comments? Are we ready for --

21 MS. TOWNSHEND: Discussion?

22 CHAIRPERSON GALVIN: Okay.

23 MS. TOWNSHEND: Consensus of the
24 recommendation of the peer review team to place this in

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 the no category? So moved.

2 Next grant considered is 10SCC02, UCHC,
3 Molly Brown, and the title is Cancer --

4 A MALE VOICE: Molly Brewer.

5 MS. TOWNSHEND: Brewer. Apologies. Cancer
6 Stem Cells as Tumor Initiating Cells in Breast and Ovarian
7 Cancer. The peer review score is 4.0, and the considering
8 team is Kiessling and Pescatello.

9 MS. HORN: And I would note that this has
10 claimed proprietary information is included in the grant.
11 It is marked in bold in the grant, so if you can avoid
12 discussing that, we would appreciate it. If you need to
13 go into the proprietary information in detail, we will
14 have to go into Executive Session. Thank you.

15 DR. KIESSLING: This is kind of a confusing
16 application, actually, and I, again, think that the score
17 that has been given it is a little bit higher than their
18 comments.

19 One of the big problems with this
20 application is that it stated several times in the
21 application that cancer stem cells are mutated stem cells
22 of that tissue that go on to form tumors, and I think that
23 there's a lot of evidence, as the reviewers point out,
24 that that's not necessarily the case, that cancer stem

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 cells may actually arise from dedifferentiation.

2 So there's several aspects of this grant
3 that are a little bit not behind the times, but you think
4 that this group has pulled together in an effort to apply
5 for stem cell funds for a project, which is really cancer-
6 based, and I think there's also a fair amount of money
7 available for these studies from other organizations.

8 I would actually put this in a no funding
9 category, unless somebody has strong objections.

10 MS. TOWNSHEND: Paul?

11 CHAIRPERSON GALVIN: Paul?

12 DR. PESCATELLO: I agree with that
13 analysis.

14 MS. TOWNSHEND: Discussion? Is there a
15 consensus in the group to put this in the no category? So
16 be it.

17 Next grant under consideration is 10SCC03,
18 Yale University, Valerie Horsley, Emerging Roles of
19 Biochemical and Mechanical Environments During hESC Cell
20 Fate Determination. The grant is peer reviewed score at
21 3.8, and the team is Goldhamer and Mandelkern.

22 MS. HORN: And, again, proprietary
23 information has been claimed in this grant. Thank you.

24 DR. DAVID GOLDHAMER: I'll start on this

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 one. So in this grant, this is a four PI
2 interdisciplinary team. There's two biologists, an
3 engineer and a physicist, and the goal, as they stated, is
4 to interrogate and manipulate mechanical forces of human
5 ESCs during directed differentiation into two tissue
6 types, keratinocytes and neuronal cell fates.

7 So there's an increasing body of work that
8 suggests that the sub straight that cells grow on, its
9 stiffness, its elasticity, can affect differentiation,
10 and, so, what they would like to do is to address this
11 issue in human embryonic stem cells to see if they can
12 push embryonic stem cells to a greater extent than now
13 possible down the keratinocyte or epidermis pathway and
14 the neuronal pathway.

15 So this is a really good grant. It's very
16 well written. It is topical, in the sense that other
17 types of cells have been shown to be affected by sub
18 straight elasticity and stiffness.

19 I did have issues, though, and this kind of
20 mirrors the reviewers' comments. So the problem is that
21 this is a relatively new area, and it is true that a
22 couple of other cell types have been shown to be coaxed or
23 affected by sub straight. This has not been shown in
24 embryonic stem cells.

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 So the problem is that although this a
2 worthwhile application, the reviewers, and I concur with
3 this, thought that this was probably not ready for a group
4 grant, that this is more exploratory.

5 In my opinion, this would be a terrific
6 seed grant to just get some baseline information. They
7 don't have an idea at this point whether their cells will
8 grow well or differentiate well using these special sub
9 straights that they're using for the first time.

10 So it's a \$2,000,000 grant, and aim one is
11 dependent on being able to get ES cells to grow and
12 differentiate, and they haven't shown that yet.

13 So I did have mixed feelings about this,
14 because it was very well written, and it's a really great
15 team of investigators, but it just didn't seem ready for,
16 as the reviewer said, ready for prime time for a group
17 grant anyway.

18 One reviewer commented that additional
19 convincing preliminary data would be essential for this
20 group research grant. So because of those concerns,
21 despite the fact that I thought the grant was well
22 written, I put this in a no category.

23 CHAIRPERSON GALVIN: Very thoughtful
24 comments. Thank you. Any other comments?

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 MR. MANDELKERN: When I first reviewed this
2 grant with Dr. Goldhamer, I was inclined to put it in the
3 yes category, because I went to the other side of the
4 coin, the positive things that the peer review said about
5 the investigators and the need to investigate kind of a
6 new field of what happens to embryonic stem cells, but Dr.
7 Goldhamer convinced me with his science that maybe it
8 wasn't all that great, in spite of the fact that of the
9 three group proposals that reached us this one received
10 the best score.

11 So I think it would probably be appropriate
12 to keep one group alive and put this in the maybe, in case
13 we decide we do want to fund what I think is the best of
14 the three group proposals.

15 MS. TOWNSHEND: Is there discussion among
16 the group?

17 DR. GOLDHAMER: I'll just make a couple
18 other comments. First of all, yes, it did score the
19 highest. I'm not sure, realistically, if there's a real
20 difference between a 3.8 and a 4.3, in terms of measuring
21 quality of grant, based on that narrow range.

22 Just to put this in perspective, as well, I
23 counted that there are 16 established investigator grants
24 and 19 seed grants that scored better, so I think that

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 needs to, you know, this is a different category, but
2 there's competition for limited dollars, that we have to
3 keep in mind that taking this grant means that better
4 scoring grants, significantly better scoring grants, don't
5 get funded.

6 So, again, I -- and I just want to correct
7 or clarify one thing that Bob said about my perspective. I
8 didn't have an issue about the quality of the science, per
9 se. It's laid out very nicely. It looks like a very good
10 team. It just seemed quite risky to devote \$2,000,000 to
11 a grant where they haven't taken the first step and shown
12 that ES cells can even differentiate on these different
13 sub straights that they want to test.

14 If it was a seed grant, an exploratory
15 grant, I'd say it would be a slam dunk. I just thought
16 that, for this mechanism, that it was premature.

17 CHAIRPERSON GALVIN: Thank you, once again,
18 for your thoughtful comments, and I think, speaking
19 generically, that we have I don't think favorably
20 considered two-step grants, i.e., I'm going to be able to
21 do this, but I have to be able to do that first, and no
22 one else has done that, whatever it is, and I think that,
23 I don't know if David has been with us for all of those,
24 but I think, generally speaking, the group has felt that

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 those kind of stepped things relying on an initial step,
2 which was unproven or theoretical, have not been very
3 favorably considered.

4 Second reviewer? Any other comments? Mr.
5 Mandelkern?

6 MR. MANDELKERN: No other comments. I've
7 made my point of view clear.

8 CHAIRPERSON GALVIN: Okay. Any discussion
9 among the group as a whole? If not, do we have a
10 consensus that we will assign a no value to that grant?

11 MS. TOWNSHEND: Are you saying there's not
12 a consensus? This moves into the no category.

13 CHAIRPERSON GALVIN: That's a no.

14 MS. TOWNSHEND: That concludes core and --
15 help me here. Group. Thank you. With your permission,
16 with the permission of the group, we will move on to seed,
17 the seed grant category. Is that correct? Thank you.

18 CHAIRPERSON GALVIN: Are we all on board?
19 We're moving on to seed grants? I notice that there are,
20 at least in this initial bunch, there are a good deal of
21 very low ranking grants. I'm not sure. We will spend as
22 much time as the group feels they need to spend, but our
23 rules are usually a minute for six or higher.

24 MS. TOWNSHEND: Right. A minute for

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 description, and a minute for discussion for those that
2 are 6.0 and higher, beginning with 10SCA26, Mrs. Rekha
3 Shertukde, Stem Cell Graft Mapper Using Near Infrared
4 Cameras for Imaging Stem Cell Migration and
5 Differentiation. The institution is Diagnostic Devices.
6 The peer review score is 8.0, and the peer review team is
7 Goldhamer and Latham.

8 MS. HORN: And propriety information is
9 claimed in this grant.

10 DR. LATHAM: This got its low peer review
11 score, because of manifest lack of sophistication, at
12 least on the surface of the application, about stem cells.
13 Might be very useful to get this kind of imaging into the
14 stem cell field, but there's not much detail at all about
15 the application in stem cell context.

16 On the plus side, it's a Connecticut-based
17 women-owned business, one of the few business applications
18 we have, that all counts in favor of it, but it didn't
19 have much detail about the application to stem cell.

20 MS. TOWNSHEND: Dr. Goldhamer?

21 DR. GOLDHAMER: I agree. No further
22 comments.

23 MS. TOWNSHEND: Group discussion?

24 Recommendation of the team? Is that the consensus of the

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 group? Thank you.

2 Next grant for consideration is 10SCA27,
3 Erin Shull, Temporal Regulation of Neural Progenitor Cell
4 Fate in the Developing Cerebral Cortex, Yale University is
5 the institution, the peer review score is 7.4, and the
6 consideration team is Goldhamer and Wallack.

7 DR. GOLDHAMER: Milt, should I go? So this
8 is an application from a postdoctoral fellow at Yale. He
9 has strong support from his mentor. So, very briefly, the
10 investigator wants to do transcription profiling of
11 different stages, different cell types during
12 neurogenesis, neurogenic differentiation.

13 I won't go into any fine details, because
14 of the score. I'll just tell you that the reviewers
15 raised a number of technical issues that, to them,
16 represented fundamental flaws, and I agreed with their
17 concerns, and the overall enthusiasm of the review
18 committee, as well as my own, was low, so I had voted a no
19 on this.

20 MS. TOWNSHEND: Mr. Wallack? The
21 recommendation of the peer review team is that this goes
22 in the no category. Is that the consensus of the group?
23 This grant moves to the no category.

24 Next grant for consideration is 10SCA37,

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 Sreyashi Basu, Response of Human Embryonic Stem Cells to
2 Physiological Stresses, University of Connecticut Health
3 Center is the institution, the score for peer review is
4 7.3, and the team for review is Arinzeh and Genel.

5 DR. TREENA ARINZEH: Okay. This proposal
6 seeks to look at, stresses, in particular, temperature
7 reactive oxygen species toxins on embryonic stem cells,
8 IPS cells and non-stem cell controls.

9 Overall, the reviewers were not excited
10 about it. They thought it had little significance or
11 relevance to the development of techniques for culturing
12 stem cells, and then they had a lot of criticism about
13 some of the approaches, the experimental design mentioned
14 here, and the investigators do not have embryonic stem
15 cell experience, so they were pretty highly critical about
16 this proposal, so I vote no for funding.

17 MS. TOWNSHEND: Dr. Genel?

18 DR. MYRON GENEL: No further comment. I
19 agree.

20 MS. TOWNSHEND: The recommendation of the
21 team is to place this in the no category. Is that the
22 consensus of the group? So be it.

23 Next grant for consideration is 10SCA50,
24 Anita Huttner, Modeling Pathogenesis of Temporal Lobe

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 Epilepsy, Yale University is the institution, the peer
2 review score is 6.0, and the team for review is Arinze
3 and Hiskes. No. My mistake. The team is Kiessling and
4 Mandelkern.

5 MR. MANDELKERN: This is a seed grant
6 proposal, which received a score of 6.7, which places it
7 very low in the seed, which got 50 applications.

8 The peer review did not think very highly,
9 inadequate approach, unlikely to accomplish aims, and I
10 propose putting it in the no category.

11 MS. TOWNSHEND: Dr. Hiskes? Dr. Kiessling?

12 DR. KIESSLING: Right. I agree with that.

13 MS. TOWNSHEND: The recommendation of the
14 team is to place this in the no category. Is that the
15 consensus of the group? So moved.

16 Next grant for consideration is 10SCA17,
17 Shangqin Guo, Engineering of Supportive Environment for
18 Human Embryonic Stem Cell Differentiation, Yale University
19 is the institution, 6.6 is the peer review score, Dees and
20 Fishbone are the review team.

21 DR. RICHARD DEES: I can do this one. This
22 project is an attempt to find the kind of right basis for
23 stromal cells to maximize the differentiation of stem
24 cells. The peer reviewers were not very enthusiastic

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 about it.

2 They didn't think their approach was likely
3 to work, since there are many kinds of different
4 environments that will be needed, and they didn't think
5 that they had adequately thought about those kinds of
6 issues, so this is a no grant, I think.

7 CHAIRPERSON GALVIN: Second reviewer?

8 DR. FISHBONE: I would agree with those
9 comments. Many negative comments from the reviewers.

10 MS. TOWNSHEND: The recommendation of the
11 peer review team, or of the team is that this be placed in
12 the no category. Is that the consensus of the group? So
13 moved.

14 Next grant for consideration is 10SCA08,
15 Christopher Heinen, Converting Human Embryonic Stem Cells
16 into Cancer Stem Cells, University of Connecticut Health
17 Center is the institution, 6.3 is the peer review score,
18 and the grant team for consideration, Dees and Pescatello.

19 DR. DEES: This grant is an attempt to
20 understand how stem cells can become cancer cells -- role
21 in DNA damage and the genesis of tumors. The peer
22 reviewers argued that investigators did not really have
23 the experience with stem cells to be able to pull off
24 these experiments, especially since the experiments,

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 themselves, are not really that well defined. It's
2 probably not worth funding at this time.

3 MS. TOWNSHEND: Second reviewer?

4 DR. PESCATELLO: Yeah. Poorly articulated,
5 and I concur with the other comments.

6 MS. TOWNSHEND: The recommendation of the
7 team is to place this in the no category. Is that the
8 consensus of the group? So moved.

9 Next grant for consideration is 10SCA14,
10 Professor Lynne Regan, Elucidating the Unique Features of
11 Chromatin in Stem Cells, Yale University is the
12 institution, 6.3 is the peer review score, and the team is
13 Dees and Fishbone.

14 DR. FISHBONE: The hypothesis here was that
15 the way that DNA is packaged in the nucleus is different
16 in stem cells than in differentiated cells, and they seek
17 to determine exactly what these differences are, and they
18 hope to answer a lot of questions about them.

19 The reviewer said the project is
20 interesting from a purely biophysical standpoint, but it
21 seems quite preliminary, even for a seed grant. Direct
22 evidence of their theory is limited. It's difficult to
23 see how the methodology could ever be used in cells and
24 not sure how it will directly answer questions about

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 pluripotency, so, overall, they were negative about it,
2 and I would recommend that we do not fund it.

3 MS. TOWNSHEND: Second reviewer?

4 DR. DEES: Yeah. I'd agree with all that.

5 MS. TOWNSHEND: The team is recommending
6 no. Is that the consensus of the group? So moved.

7 Next grant for consideration is 10SCA15,
8 Deborah Eastman, Notch Signaling and Target Gene
9 Expression in the Derivation of Neural Stem Cell
10 Progenitors from Pluripotent Stem Cells, Connecticut
11 College is the institution, 6.30 is the peer review score,
12 and the reviewers are Dees and Genel.

13 DR. DEES: These experiments are intended
14 to look at the differences between induced pluripotent
15 cells and stem cells, embryonic stem cells and how they
16 differentiate into neural cells in the notch pathway.

17 The reviewers didn't really find the study
18 particularly innovative, and they're worried about whether
19 this researcher in the context can really pull it off at
20 her college.

21 There might be a case. I'll just say this
22 one thing. This is a grant from one of the smaller
23 colleges that doesn't have quite the resources of everyone
24 else, and the question for the committee would be whether

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 it's worthwhile to think about, maybe helping out places
2 where they don't have the kinds of resources. That would
3 be my only, but I would still say probably not for this
4 case.

5 MS. TOWNSHEND: Second reviewer?

6 DR. GENEL: Yeah. I have the same sense. I
7 think, if this had gotten a somewhat better review, in
8 terms of its theoretical aspects, I think I could be
9 persuaded that it's worth funding, but the reviewers
10 criticized not only the facilities there, but the basic
11 underlying concept, and I think, from my perspective, with
12 so many very good seed applications, in particular, I
13 would not fund this.

14 MS. TOWNSHEND: The recommendation of the
15 team is that this goes in the no category? Is that the
16 consensus of the group?

17 DR. GENEL: With regret.

18 MS. TOWNSHEND: With regret. So noted.
19 This grant is moved to the no category.

20 Next grant for consideration is 10SCA48,
21 Role of Channel-Kinase, TRPM7 in Cardiaomyocytes,
22 Differentiation from Human Embryonic Stem Cells, UCHC is
23 the institution, 6.3 is the peer review score, the
24 reviewers are Kiessling and Mandelkern.

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 MR. MANDELKERN: This review is -- this
2 grant proposal is proposing to test whether a particular
3 gene, I assume, will have an effect on differentiation of
4 embryonic stem cells into heart muscle cells.

5 The preliminary data shows the way, but the
6 peer review has many criticisms, in terms of not
7 sufficient preliminary data and various other indications.

8 (Off the record)

9 MR. MANDELKERN: -- places it in the bottom
10 20 of 50 seed grant applications, I would propose no on
11 this.

12 MS. TOWNSHEND: Dr. Kiessling?

13 DR. KIESSLING: Right. This is a grant
14 application that was missing part of the application. The
15 bio-sketches weren't there, and I asked if they'd actually
16 been submitted, and I think somebody got back to me and
17 said, no, they didn't show up, so this grant was missing
18 about six pages of its submission.

19 MS. TOWNSHEND: So the recommendation of
20 the team is to place this in the no category?

21 DR. KIESSLING: Right.

22 MS. TOWNSHEND: Is that the consensus of
23 the group? This grant is placed in the no category.

24 Next grant for consideration is 10SCA11,

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 Bing Su, Control Human Embryonic Stem Cell Self Renew by
2 the Stress Regulated Protein Kinase Cascades, Yale
3 University is the institution, 6.1 is the peer review
4 score, and the reviewers are Arinzeh and Fishbone.

5 DR. ARINZEH: Okay. This proposal seeks to
6 look at, again, it's actually another proposal that I'm
7 reviewing about cellular stress, so the effect of stress
8 on cells and how that might impose accelerated aging. The
9 reviewers were, again, not excited about this proposal,
10 because there's little evidence to show that embryonic
11 stem cells actually undergo aging processes, and they
12 really didn't develop that hypothesis well with
13 preliminary data of any kind to indicate that they might
14 have this potential there, so they saw this as a
15 significant flaw, so they gave it a poor score, so funding
16 recommendation would be no.

17 MS. TOWNSHEND: Second reviewer?

18 DR. FISHBONE: I would agree, and they
19 said, basically, there is no preliminary data, and that
20 the project would collapse if they find there's either no
21 response or the human embryonic stem cells simply die, so,
22 in other words, you'd give them \$200,000, and they would
23 have no basis for proceeding with the project.

24 MS. TOWNSHEND: So the recommendation of

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 the team is no. Is that the consensus of the group? This
2 grant is placed in the no category.

3 Next grant for consideration is 10SCA39,
4 Winifred Krueger, Stem Cell Secretion in Self Renewal and
5 Differentiation, UConn is the institution, 6.0 is the peer
6 review score, and the reviewers are Dees and Genel.

7 DR. DEES: These experiments are designed
8 to understand the self-regulatory environment of stem
9 cells by looking at the factors they secrete to understand
10 better the mechanisms of self-renewal and differentiation.

11 In this case, the link to eventual
12 therapies is reasonably clear, but pretty remote, but the
13 peer reviewers really thought the experimental design was
14 pretty poor, and they weren't quite sure the results would
15 actually be meaningful, even if they worked, so I would
16 recommend not funding.

17 MS. TOWNSHEND: Dr. Genel?

18 DR. GENEL: Yeah. I observed that Dr.
19 Krueger submitted two peer review grants, two seed grants
20 for review. I think the second reviewer is fairly
21 scathing, in terms of the application, as well as some of
22 the investigator's qualifications.

23 Limited expertise in proteomics by PI, who
24 has a very limited publication record, given the she

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 finished training in the mid 80s, so, for what that's
2 worth, no.

3 MS. TOWNSHEND: The recommendation of the
4 team is to place this in the no category. Is that the
5 consensus of the group? This grant now is moved to the no
6 category.

7 Next grant, we move into grants that are
8 peer reviewed score 5.9 or lower, so discussion and
9 consideration time will move to five minutes, rather than
10 one minute.

11 Next grant is 10SCA33, Steven Levine is the
12 potential grantee, Functional Properties of Neurons
13 Derived from Autism and Angelman Syndrome Patients, UCHC
14 is the institution, 5.7 is the peer review score, and the
15 reviewers are Hart and Latham.

16 DR. LATHAM: This is a seed grant from Eric
17 Levine from the Health Center, along with a new
18 collaborator, Dr. Chamberlain, and it seeks to prepare
19 induced pluripotent cells from patients with either a
20 specific autistic phenotype and Angelman Syndrome and to
21 determine electrophysiological properties of those cells.

22 The basic comment from the reviewers was
23 that it was a high-risk, high-potential project, but they
24 judged it unlikely to be fruitful, and one of the key

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 questions at the end of the review was how will this
2 affect the study of Angelman Syndrome, and that was one of
3 the dots that really wasn't connected here.

4 My scale of judging these things, I did
5 find that this was an appropriate seed for a senior
6 investigator, though it was using non-embryonic stem
7 cells, which are not a high priority for us, and it is
8 federally eligible, and it was not heavily, not clearly
9 tied to human health and disease, so, therefore, I did not
10 give it more of an uptake on my scoring, so I recommend a
11 no.

12 MS. TOWNSHEND: Second reviewer?

13 DR. HART: I was impressed by some of the
14 comments of the reviewers characterizing this as a fishing
15 expedition, which is their way of putting it the high
16 riskness of it. They could find something important, but
17 they could end up finding nothing at all, and, for that
18 reason, I would also say no.

19 MS. TOWNSHEND: The recommendation of the
20 team is to place this grant in the no category. Is that
21 the consensus of the group? This grant is placed in the
22 no category.

23 Next grant for consideration is 10SCA07,
24 Choukri Ben Mamoun, Derivation of Hepatocytes from

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 Embryonic Stem Cells to Study the Initial Steps of Malaria
2 Pathogenesis, Yale University is the institution, 5.6 is
3 the peer review score, and the grant team is Dees and
4 Pescatello.

5 DR. PESCATELLO: So this had a score of
6 5.6, and the reviewers had a couple of concerns. I guess
7 I would categorize them as that models already exist for
8 this type of work, and, also, there's a mention of the
9 Gates Foundation already being very involved in this, so I
10 guess I would be interested in what others think.

11 It's not a great score. There's some issue
12 with the protocols that are going to be used. I guess I'm
13 in a maybe category, because the comment about the Gates
14 Foundation, and I know a little bit about the Gates
15 Foundation work on malaria, and I would, if anything, I
16 would say that having another funder, other funders,
17 besides just the Gates Foundation involved in malaria
18 research, is a good thing.

19 And if the scoring was better, I would be
20 in the pro category, but I'm in a maybe right now.

21 DR. DEES: Yeah. I guess I took to heart a
22 bit more what the peer reviewers were saying. They said
23 that the model doesn't really offer anything for how the
24 disease is going to work in their body, so they thought it

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 was really unlikely to have the kind of therapeutic uptake
2 that we might hope, so it might have some clinically
3 important stuff, but I really thought they thought, I'm a
4 layperson here, so I wouldn't judge this, they thought the
5 science really wasn't that good.

6 I would actually put it in a no category.

7 MS. TOWNSHEND: Paul?

8 DR. PESCATELLO: Okay.

9 MS. TOWNSHEND: The recommendation of the
10 team is to place this in the no category. Is that the
11 consensus of the group? This grant is placed in the no
12 category.

13 Next grant for consideration is 10SCA41,
14 Betty Lawton is the potential grantee, Development of
15 Feeder-free Culture System for the Directed
16 Differentiation of Human Embryonic Stem Cells to
17 Myoblasts, UConn is the institution, 5.5 is the peer
18 review score, and the team is Hart and Latham.

19 DR. HART: This was a proposal from a
20 postdoctoral fellow that seeks to generate myoblasts from
21 human ES cells, and it clearly would be a valuable
22 application if it were successful.

23 The reviewers were very mixed. They found
24 that there was several challenges in the project, and the

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 proposal appears very risky overall, however, they do
2 point out that, if successful, the project would be
3 incredibly innovative.

4 I found the topic of this very exciting for
5 my own interests, but, overall, this was a study that
6 used, again, a federally eligible embryonic stem cell
7 line, and the health benefits were not directly made clear
8 in the way the grant was written, even though it seemed
9 kind of obvious as you were reading it. I guess, overall,
10 with the score by the reviewers, I'd recommend no.

11 MS. TOWNSHEND: Dr. Latham?

12 DR. LATHAM: I agree with that.

13 MS. TOWNSHEND: The recommendation of the
14 team is to place this grant in the no category. Is that
15 the consensus of the group? This grant is placed in the
16 no category.

17 Next grant for consideration is 10SCA10,
18 Emre Seli, Functional Characterization of Embryonic Stem
19 Cell-Specific Micro RNAs, Yale University is the
20 institution, 5.3 is the peer review score, Arinzeh and
21 Fishbone.

22 DR. FISHBONE: The investigator wants to
23 gain insight into micro RNA control of the maternal to
24 zygotic transition that is an important regulatory

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 parameter of development and, also, in the control of
2 pluripotency.

3 There is a high probability -- all of the
4 preliminary data is from zebrafish and the xenopus. I'm
5 not sure what that is. While there's a high probability
6 that similar mechanisms operate in mammalian development,
7 additional preliminary data would reinforce the
8 feasibility and the anticipated outcome.

9 The concern is that the applicants are only
10 one tool to work with, and this is a big problem in their
11 aims one and two, and aim three didn't seem to be so
12 strong either, so I would recommend that this not be
13 funded.

14 MS. TOWNSHEND: Second? Dr. Arinzeh?

15 DR. ARINZEH: Same recommendation. No.

16 MS. TOWNSHEND: The recommendation of the
17 team is to place this grant in the no category. Is that
18 the consensus of the group? This grant is moved to the no
19 category.

20 Next grant for consideration is 10SCA19,
21 Umit A. Kayisli, In Vitro Differentiation of Human
22 Endometrial Mesenchymal Stem Cells to Neuron-Like Cells,
23 Implications for Endometriosis Related Pain and
24 Inflammation, Yale University is the institution, 5.2 is

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 the peer review score, the reviewers are Goldhamer and
2 Pescatello.

3 DR. GOLDHAMER: All right, so, this
4 applicant is an associate research scientist at Yale. It
5 wasn't clear whether this is an independent position.
6 There was no letter from a mentor, although the Chief of
7 OB-GYN wrote a short letter, so the idea here is that
8 there are cells in the endometrium, called endometrial
9 stromal cells, which are apparently multi-potent cells,
10 and it's known that patients with endometriosis have
11 excessive innervation in the functional layer of the
12 endometrium, and, so, the hypothesis is that these cells,
13 these multi-potent cells, are excessively differentiating
14 into neurons that then cause pain.

15 So the reviewers thought that this was a
16 really important problem, and they saw that as the major
17 strength of the proposal. The reviewers did point out a
18 few weaknesses, and I'll just read what they said.

19 They said there are weaknesses that include
20 the basis on which the hypothesis, hypotheses are founded,
21 the actual veracity of the experimental design, and the
22 overall presentation of the studies, which undermine its
23 potential.

24 So given these weaknesses, enthusiasm was

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 low by the reviewers, and I agree with their assessment,
2 so I had placed this in the no category.

3 MS. TOWNSHEND: Second reviewer?

4 DR. PESCATELLO: I agree with that.

5 MS. TOWNSHEND: A correction on the title.
6 It is Mesenchymal. Thank you. The recommendation of the
7 team is to place this in the no category. Is that the
8 consensus of the group? This grant is moved to the no
9 category.

10 Next grant for consideration is 10SCA09,
11 Jae Eun Kwak, The Regulation of miRNA Expression in
12 Polyuridylation in Controlling the Human Stem Cell Fate,
13 Yale University is the institution, 5.0 is the peer review
14 score, the reviewers are Fishbone and Pescatello.

15 DR. FISHBONE: The investigator seeks to
16 determine whether a certain nucleotidyltransferase plays a
17 role in regulating human embryonic stem cell behavior.
18 Unfortunately, the end points for maintenance and
19 differentiation are only superficially described.

20 Essentially, it involved demonstrating
21 whether similar phenomena exists in humans and in mice,
22 and they say support would be increased if a specific
23 micro RNA had been identified, and, apparently, it had
24 not, so that they didn't seem to feel this was worthy of

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 support, and I agreed.

2 MS. TOWNSHEND: Second reviewer?

3 DR. PESCATELLO: Yeah, I concur with that.
4 There's a lack of depth, I think, to the proposal.

5 MS. TOWNSHEND: The recommendation of the
6 team is to place this grant in the no category. Is that
7 the consensus of the group? This grant is placed in the
8 no category.

9 Next grant for consideration is 10SCA20,
10 Emre Seli, Metabolic Profiling of Human Embryonic Stem
11 Cells, Yale University is the institution, 5.0 is the peer
12 review score, and the team is Goldhamer and Pescatello.

13 CHAIRPERSON GALVIN: I note that this
14 investigator is also originated grant to number 20.

15 DR. GOLDHAMER: All right, so, this grant,
16 the purpose of this project is to characterize the
17 metabolic phenotype of human ES cells, with the goal being
18 to improve human ES cell cultures.

19 So the idea is that the investigator will
20 analyze culture media under various growth conditions and
21 do some sort of metabolic profiling. The investigator
22 provides very little idea of what actually will be done,
23 and there is no connection between the data that will be
24 collected and how that relates to the health of the cells.

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 The reviewers had very significant
2 concerns, and they agree that the research plan lacked
3 detail, and I personally found the research plan to be
4 really wholly underdeveloped, and, so, I had placed this
5 in the no category.

6 MS. TOWNSHEND: Paul?

7 DR. PESCATELLO: I do, as well.

8 MS. TOWNSHEND: The proposal by the team is
9 to place this grant in the no category. Is that the
10 consensus of the group? This grant is moved to the no
11 category.

12 Next grant for consideration is 10SCA40,
13 Winifred Krueger, The Lamin Interactome During Stem Cell
14 Differentiation, UConn is the institution, 5.0 is the peer
15 review score, and the reviewers are Genel and Latham.

16 DR. GENEL: This is the second seed grant
17 application from Dr. Krueger, and here it seems to me that
18 the score probably underrates. It does not fit with the
19 peer review. Reading the peer review, which seems to be
20 generally rather favorable, the five seems like a very low
21 score for what I read.

22 What she proposes is to study in human
23 embryonic stem cells the Lamin gene, which is related to
24 premature aging and the progeria and so forth, and the

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 peer reviewers indicate that this is an important
2 proposal, not just for the purpose of understanding human
3 HGPS, but also increasing our knowledge of the
4 interactions in a number of genetic diseases result from
5 Lamin mutations. A successful outcome would be very
6 useful.

7 I think, from a conceptual point of view, I
8 think this is precisely what we intended seed grants to
9 do, and that is to provide small amounts of funding for
10 innovative projects, so not withstanding the peer review
11 score, I'd like to put this in the maybe category for the
12 time being.

13 MS. TOWNSHEND: Dr. Latham?

14 DR. LATHAM: My inclination was the same
15 for much the same reason. As you read through the peer
16 review scores, you couldn't really understand where the
17 five came from.

18 There were some concerns about whether the
19 second beam of the study could be done within the two-year
20 window, and there were some other concerns about
21 inexperience with using human embryonic stem cells, but
22 then there's a note that Dr. Rassmusen is also part of
23 this grant, although not with a huge amount of time, but
24 that should alleviate some of the concerns about

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 experience with embryonic stem cells, so I'd be inclined
2 to put this in the maybe, as well.

3 MS. TOWNSHEND: The recommendation of the
4 team is to place this in the maybe category. Is there
5 further discussion? Is that the consensus of the group?
6 This grant is placed in the maybe category.

7 Next grant for consideration is 10SCA34,
8 Mei Wei, Induced Pluripotent Stem Cell Seeded Novel
9 Scaffolds for Improved Bone Repair In Vivo, UConn is the
10 institution, 4.8 is the peer review score, Hart and
11 Wallack are the review team.

12 DR. HART: This is a project from Dr. Wei,
13 who is an Associate Professor at UConn, along with a
14 collaborator at the Health Center. The proposal is to
15 work on biomaterials and, specifically, the three
16 dimensional structure of bio materials for bone and
17 connective tissue development.

18 Medically, very useful and very relevant.
19 The reviewers found this as strikingly impressive approach
20 and a very experienced team in tissue engineering and bio
21 materials.

22 There was a number of structural deficits
23 in the review. They found some of the parts of the
24 proposal very unclear, details lacking, some things hard

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 to follow, and, so, therefore kind of downgraded it I
2 think a great deal, based on grantsmanship.

3 I really vacillated on this back and forth
4 quite a few times. I wrote in my notes maybe, crossed
5 that out and wrote no once or twice, so I'm a little in
6 between on this. It really sounds from the review like a
7 no. It reads as though, again, like the last grant, it
8 sounds like exactly the sort of thing we're looking for,
9 in terms of innovative ideas.

10 I should point out that the PI has had a
11 section of a group grant in the past of a different but
12 similar concept, which makes it a little strange for this
13 to be a seed grant, but, again, I think the kind of direct
14 relevance, even though it wasn't terribly well developed
15 in the project, the direct relevance to human health and
16 disease helps it quite a bit, so I guess I'd end up saying
17 maybe.

18 MS. TOWNSHEND: Second reviewer?

19 DR. HART: Subject to being argued with.

20 MS. TOWNSHEND: Second reviewer?

21 DR. WALLACK: I had a similar kind of
22 response as I read it. I thought that it was an
23 interesting proposal that had fairly significant potential
24 importance. It's by an experienced investigative team.

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 I also went back and forth, but I came down
2 on the side of no for a few reasons. One of them is that
3 when we discussed seed grants, or when we initiated the
4 concept of seed grants in Connecticut at least, it was
5 with the idea that it would be for people, young
6 investigators, who were entering the field, or senior
7 investigators for that matter, who were not in the stem
8 cell field yet, but that hoped to move laterally over to
9 the stem cell field.

10 I think that it's inappropriate for us to
11 be considering this from this team, which is basically a
12 senior investigator team, they've been associated, I
13 believe, with the Dr. Row(phonetic) group grant in '07,
14 and there is this ambivalence in how it was written up.

15 I would not have anticipated, because of
16 their experience, the craftsmanship problem if they were
17 very, very involved and serious with the grant, and, also,
18 there's a relatively very limited amount of time that they
19 are proposing to spend with this grant.

20 So, again, I think you can sense the
21 somewhat ambivalent feeling as Ron had, but I would come
22 down on the no side for the reasons that I've indicated.

23 DR. HART: Yeah. I definitely don't
24 disagree with what you've brought out as the negatives,

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 and let me add my other negatives that I withheld earlier,
2 that, essentially, it's not an embryonic stem cell
3 project, which should be one of our higher priorities. It
4 is federally eligible, and, again, the issue of whether
5 this embodies the spirit of what we believe a seed grant
6 should be is a very valid point, so I can be convinced to
7 be no very easily.

8 MS. TOWNSHEND: So the recommendation of
9 the team is?

10 DR. WALLACK: No.

11 DR. HART: I'd say no.

12 MS. TOWNSHEND: No. Is that the consensus
13 of the group? This grant is moved to the no category.
14 Just a note. We will be breaking in about 10 minutes,
15 around 10:00.

16 Next grant for consideration is 10SCA46,
17 Yun He, Cerebral Cavernous Malformation 3 (CCM3) in
18 Hemangioblast. Is that right? Differentiation and EC
19 Maturation, Yale University is the institution, 4.7 is the
20 peer review score, and the team is Kiessling and
21 Mandelkern.

22 MR. MANDELKERN: This is a grant, again,
23 that proposes to examine the role of a gene and how it
24 relates to vascular disease and blood differentiations in,

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 blood cell differentiations in human embryonic stem cells
2 and in a mouse model. It's important, because vascular
3 disease are important in our population.

4 The peer review is very ambiguous. They
5 say first good things that they propose to do on published
6 data, and then they say negative things, like it's highly
7 dependant on aim one, leading to aim two, and they go back
8 and forth between the positive and the negative on this
9 peer review.

10 It is not clear how success in this aim
11 moves the field beyond what is shown in the data, a nice
12 proposal, however, it lacks some data and so on. It's a
13 very difficult one to assess from the written report, but
14 the score of 4.7 places it very low in the 50 applications
15 for seed grants, so I would propose a no on this, and
16 we'll hear what Dr. Kiessling has to say.

17 DR. KIESSLING: Now this is basically a
18 developmental biology team that is seeking to apply human
19 embryonic stem cells to their research, and it's kind of a
20 stretch, so I would like to see these applicants kind of
21 come up with something that indicates the hES cells are
22 going to do what they think, and I would place this in the
23 no category.

24 MS. TOWNSHEND: The recommendation of the

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 team is to place this grant in the no category. Is that
2 the consensus of the group? This grant is placed in the
3 no category.

4 Next grant for consideration is 10SCA03,
5 Madhav Dhodapkar, Harnessing Immunity to Pluripotency
6 Genes in Humans, Yale University is the institution, the
7 score is 4.6, and the team is Arinze and Hiskes.

8 DR. ARINZE: Okay. I have Hiskes'
9 comments. Do you want me to, or do you want me just to
10 say her recommendations?

11 MS. TOWNSHEND: If you'd like to read
12 those, it's your choice.

13 DR. ARINZE: I can just give a
14 recommendation. Okay, so, this proposal aims to better
15 understand the properties of immunity to the pluripotency
16 gene or antigen, OCT-4, on embryonic stem cells, so
17 they're going to characterize T cell response against OCT-
18 4, evaluate the ability of dendritic cells to activate
19 these responses.

20 So the reviewers thought it was an
21 interesting proposal, but the weaknesses, however, and
22 thought the investigator was very strong in immune cell
23 biology background, but the weaknesses were in the
24 specifics of the approach, not really clear, as to whether

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 cells that do differentiate will lose this OCT-4 antigen,
2 and, so, there's just some uncertainty there, so that they
3 would like to have seen more preliminary data there to
4 demonstrate. Some of their claims are, again, hypotheses.

5 They also were concerned about an overlap
6 with the PI's current R01 funding through the NIH, so the
7 recommendation here would be no, and then Hiskes also had
8 the recommendation of no, no funding.

9 MS. TOWNSHEND: The recommendation of the
10 review team is to place this grant in the no category. Is
11 that the consensus of the group? This grant is placed in
12 the no category.

13 Next grant for consideration is 10SCA32,
14 Ivo Kalajzic, Bone Regeneration Potential of Mesenchymal
15 Cells Derived from ES Cells versus Adult Mesenchymal Stem
16 Cells, UCHC is the institution, 4.6 is the peer review
17 score, Hart and Latham are the reviewers.

18 DR. LATHAM: This is a proposal to compare
19 the osteogenic potential of mouse adult mesenchymal stem
20 cells and embryonic stem cell generated mesenchymal stem
21 cells, and then, also, to do the same with human cells and
22 to test them both in vitro and in vivo in mice.

23 The peer reviewers were I think more
24 enthusiastic than the score seems to indicate, and I would

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 put this in the maybe category.

2 MS. TOWNSHEND: Second reviewer?

3 DR. HART: Yes. The PI is a junior faculty
4 member at the Health Center and has had just limited PI
5 funding in the past, so, when I first read this, I really
6 felt it wasn't quite in the spirit of a seed grant, but I
7 think, realistically, as a pre-tenured sister professor,
8 that probably makes sense.

9 This person did play a role on another, a
10 larger project in the past that was funded by this group.
11 I guess the only complaint I had, again, was that it was
12 back to NIH fundable material. As a seed grant towards
13 future NIH funding, this might make some sense.

14 You were right, that the reviews sounded
15 much more positive than the score. I agree on maybe.

16 MS. TOWNSHEND: The team is recommending
17 that this grant be placed in the maybe category. Is there
18 discussion?

19 CHAIRPERSON GALVIN: Let me just say one
20 generic comment. I think, when we put these in maybe, we
21 have to have some sort of thought about what possibly
22 would move them from a maybe to a yes, and a good idea,
23 you know, what I've heard so far is good idea, poorly
24 written up, good idea, based on a shaky concept, etcetera,

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 so, as we put these there, I don't think there's much
2 point putting them there if we can't think of something
3 that would move them from that over to a yes, but that's
4 just an editorial comment.

5 MS. TOWNSHEND: Other discussion? The
6 recommendation of the team is to place this in the maybe
7 category. Is that the consensus of the group? This grant
8 is placed in the maybe category.

9 Next grant for consideration is 10SCA02,
10 Stephanie Halene, Generation and Functional Study of
11 Induced Pluripotent Stem Cells from Primary Bone Marrow
12 Hematopoietic Stem Cells from Patients with -- all right,
13 somebody else say that one.

14 DR. ARINZEH: I think it's Myelodysplastic
15 Syndrome.

16 MS. TOWNSHEND: Myelodysplastic Syndromes.
17 Thank you.

18 DR. ARINZEH: Okay.

19 MS. TOWNSHEND: Yale University is the
20 institution, 4.3 is the peer review score, the reviewers
21 are Arinzeh and Hiskes.

22 DR. ARINZEH: Yeah, I had to get that right
23 myself. Okay, so, yes, so this project aims to develop
24 disease models and basically is going to be generating IPS

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 cells from patients who have this condition, MDS, and, so,
2 this is a condition where there's a loss of, well, there's
3 a lowering hematopoietic stem cells, and, so, you get low
4 blood cell counts.

5 Again, it seems like an interesting
6 project. The reviewers commented on that. It would be
7 significant if it could work, but there are, again, just
8 some fatal flaws, is that the investigator wants to
9 generate these IPS cells from the MDS' patients bone
10 marrow, and their bone marrow, again, what population of
11 cells you're going to get from there if they're not
12 growing well? How successful will be your ability to
13 transfer those cells into IPS, so that was just a major
14 fatal flaw in this proposal.

15 So they thought that they should be looking
16 at other cells maybe from this patient, skin cells,
17 something to convert them over. And then there's some
18 other minor stuff about some of the experimental design,
19 things like that.

20 So the recommendation would be no. Hiskes
21 also is in agreement with the recommendation of no.

22 MS. TOWNSHEND: The recommendation of the
23 team is to place this grant in the no category. Is that
24 the consensus of the group? This grant is moved to the no

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 category. It is now 9:58, and we will take a 15-minute
2 break and be back here at 10:13.

3 CHAIRPERSON GALVIN: Please remember that
4 you should not be discussing things that have occurred
5 here or are going to occur here, because you will be
6 overheard, and it is not a private cafeteria.

7 Many times I'm sitting there, and I have no
8 idea who is sitting directly behind me, and I recognize
9 most of the players, but there are a lot of players and
10 lobbyists and other folks like that here. Be careful of
11 what you discuss.

12 (Off the record)

13 CHAIRPERSON GALVIN: While we're winding
14 up, I thought that Dr. Arinzeh said something very potent
15 when she spoke about fatal flaws, and, as I look at these
16 grants, some of them have built in flaws, or very shaky
17 parts, and I think fatal is probably the best word to
18 describe those.

19 I think, as we see those, there's no sense
20 in putting something over into a maybe that has something
21 in there that's illogical, or multi-step-based just isn't
22 going to work.

23 My personal feelings are some of the grants
24 that we see I think are very good ideas, but they're not

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 presented in a very complete or cogent fashion, and I
2 think some of it has to do with writing abilities rather
3 than scientific potential and acumen, and I think some of
4 those rightly belong over in the maybe category.

5 I've seen them in the Department. We get
6 very good grants that are theoretically very good, and
7 they're given to somebody to write up, and the write-ups
8 are incomprehensible, or else they veer off so far from
9 the stated purpose that they don't make any sense.

10 I think, as we look through, maybe we can
11 identify some of the ones that are really very sound, but
12 just not very well presented, and perhaps go back to them
13 if we have the time.

14 MS. TOWNSHEND: Next grant for
15 consideration is 10SCA04, Dr. Yong Wang, Artificial
16 Extracellular Matrices for Controlled Differentiation of
17 Human Pluripotent Stem Cells, UConn is the institution,
18 4.3 is the peer review score, the reviewers are Arinze
19 and Latham.

20 DR. LATHAM: Sorry. I'm having a hard time
21 following the order that we're following, but I'll be
22 ready in just a second. All right. Treena, go first.

23 DR. ARINZE: Okay, so, this proposal is
24 looking at a novel biomaterial, basically a hydrogel to

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 deliver growth factors, in particular, transforming growth
2 factor beta and BMPs for the differentiation of embryonic
3 stem cells into cartilage cells, chondrocytes, so the
4 novelty here is looking at the use of this hydrogel, and
5 they're using these novel opti-meters(phonetic) for giving
6 kind of controlled delivery of these growth factors, so
7 there is a lot of novelty and interest here with this
8 biomaterial hydrogel system on the reviewer's comment on
9 that.

10 But there are some weaknesses looking at I
11 guess the overall rationale, as to why you're using
12 embryonic stem cells, but they thought that was a
13 weakness, and they also thought the PI's background with
14 embryonic stem cells was lacking, so the cultures looked -
15 - the preliminary data of the cultures were not very good.

16 And there was also some concern about the
17 formulation of the hydrogel and how that might affect the
18 cells, but there was some enthusiasm, though, for it, so I
19 thought the score might have been a little bit, maybe a
20 little bit better. So my recommendation would be no for
21 the funding.

22 MS. TOWNSHEND: Steve?

23 DR. LATHAM: Yeah. I've now found my
24 place. My recommendation was also no. This is they're

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 trying to develop a synthetic mechanism for the care and
2 feeding of cells in three dimensions better to approximate
3 what happens in vivo, and the question is whether the
4 testing they're doing of that extra cellular matrix needs
5 to be done with human embryonic stem cells.

6 And this is a group, whose human embryonic
7 stem cell experience doesn't seem to be that great, and
8 the underlying reason why this should be done with
9 embryonic cells, as opposed to others, why the testing of
10 the gel should be done in that way is lacking, so I would
11 also say no.

12 MS. TOWNSHEND: The recommendation of the
13 team is to place this grant in the no category. Is that
14 the consensus of the group? This grant is placed in the
15 no category.

16 Next grant for consideration is 10SCA01,
17 Julie Ann Sosa, Stem Cells for Cell Therapy of
18 Hypoparathyroidism, Yale University is the institution,
19 4.2 is the peer review score.

20 MS. HORN: Proprietary information is
21 claimed in this grant.

22 MS. TOWNSHEND: And the team is Arinzeh and
23 Hiskes.

24 DR. ARINZEH: Okay. This proposal is

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 looking at approaches to the treatment of
2 hypoparathyroidism, looking at the development, then, of
3 embryonic stem cells that will turn into parathyroid
4 cells, and then they would investigate these
5 differentiated cells in an animal model by implanting them
6 to muscle and then looking for whether or not
7 physiological levels, calcium levels and other factors
8 would be returned.

9 So the reviewers thought this was an
10 interesting proposal, but, again, the reviewers were
11 looking at certain weaknesses, in terms of the background
12 of the PI. There's a limited background in cell molecular
13 biology.

14 Also, there's no establishment of the
15 protocol for differentiation of embryonic stem cells into
16 parathyroid cells, so, because of that lack of preliminary
17 data, then also the experimental design, in terms of what
18 sorts of markers they would be looking for, is lacking or
19 weak.

20 So my recommendation would be no for
21 funding on this. Hiskes also had the same recommendation.

22 MS. TOWNSHEND: The recommendation of the
23 team is to move this grant to the no category. Is that
24 the consensus of the group? This grant is moved to the no

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 category.

2 Next grant for consideration is 10SCA23,
3 Arvind Chhabra, To Develop Efficient Methodologies to
4 Generate Customized Anti-Tumor Effector T Cells from Human
5 Embryonic Stem Cells and Induced Pluripotent Stem Cells by
6 TCRengineering Approach, UCHC is the institution, 4.0 is
7 the peer review score, Genel and Kiessling are the
8 reviewers.

9 DR. GENEL: Ann, do you want me to start?

10 DR. KIESSLING: Yeah.

11 DR. GENEL: This is a resubmission of a
12 seed grant that I gather was submitted last year, I
13 presume, and did not make the cutoff last year. The
14 reviewers indicate that it's substantially improved.

15 Basically, it's a concept to try and
16 develop specific immune effector T cells by utilizing the
17 T cell receptor and developing specific T cells using both
18 human embryo and induced stem cells.

19 The major criticism of the reviewer seems
20 to be too ambitious, and they question whether or not it
21 can be carried out in a two-year seed grant. On the other
22 hand, the reviewers point out that this work could be very
23 significant if it comes together, and a seed award is
24 meant to encourage development of new areas of expertise,

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 so I mean I think that balances off, frankly, the
2 criticism, and I would think we ought to put this in a
3 maybe category for the present time.

4 DR. KIESSLING: Yeah, I agree with that,
5 because I remember now the enthusiasm of the reviewers for
6 this grant is much higher than a score of 4.0, because,
7 although it's risky, they thought exactly that, that this
8 is what seed grants are for. This person has a very
9 strong background in T cell biology, weak background in
10 embryonic stem cells, has gotten people that's going to
11 show him how to do that, and I think it should be
12 definitely a maybe.

13 MS. TOWNSHEND: The recommendation of the
14 team is to place this grant in the maybe category. Is
15 there a discussion? Is it the consensus of the group to
16 move this to the maybe category? This grant is moved to
17 the maybe category.

18 Next grant for consideration is 10SCA25,
19 Jun Lu, Computational Modeling of Molecular Regulators in
20 hESC Differentiation, Yale University is the institution,
21 4.0 is the peer review score, the reviewers are Goldhamer
22 and Wallack.

23 DR. WALLACK: I'll start. Can I ask you a
24 question? There was a similar grant that Lu submitted,

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 SCA45. Would you want to go out of the rotation and
2 possibly have -- you can't do that? Is that the ruling?

3 MS. HORN: We're proceeding by peer review
4 score, so we'll just listen carefully to what you're
5 saying now and remember that when we come to the next
6 grant, but we'd like to stay within the ranking of the
7 peer review.

8 DR. WALLACK: Thank you. All right, so,
9 this is a seed grant request, but it's by a senior
10 investigator. As a matter of fact, in 2009, he was
11 awarded from Connecticut dollars an established
12 investigator grant in a relatively similar field as we're
13 talking about in this particular grant.

14 The investigator only proposes to spend
15 about 10 percent of his time on the project. There were
16 some questions about the budgeting and whether or not the
17 fees and the costs are over estimated.

18 The material, the proposal does have some
19 areas where it could be applicable and maybe some benefits
20 coming from it, but my question is, if it's really in
21 light of other research being done, really critical, and
22 does it follow in the spirit of what we anticipate seed
23 grants to represent, and with the 4.0 rating and my own
24 reservations, I would vote no.

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 CHAIRPERSON GALVIN: If I might interject,
2 I think there's a question here that probably deserves a
3 little bit of an airing out. If you're an established
4 investigator, can you get a seed grant, too?

5 DR. WALLACK: Well my understanding, Bob,
6 and certainly you have your team here that can probably
7 comment in a much more definitive manner, is, as I recall,
8 there was no problem in having senior investigators
9 request seed grants if the senior investigator was not
10 already working in the stem cell field and wanted entree
11 to that field, and that would be a method for him to be
12 able to do that, so, again, that's different than somebody
13 already being designated an established investigator and
14 having already been awarded a significant established
15 investigator grant by the state funding process.

16 CHAIRPERSON GALVIN: My notes indicate
17 developing new research directions may apply for a seed
18 grant, but I believe your question is is this an extension
19 of the original work, and, if so, I have a question for my
20 attorney friends, is should this be disqualified, because
21 it doesn't fit within the framework of what we've asked
22 people to do for consideration, and I don't know what we
23 should do.

24 MS. HORN: Yeah. I think it's probably a

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 nuance to answer to that, but we certainly did allow for
2 established investigators who were new to stem cell
3 research to apply, or they were developing new research
4 directions within stem cell research, so I'm not clear how
5 that would come out in this case, but it sounds to me like
6 he's going on maybe an established direction with this
7 grant, not a new direction, and he's not new to stem cell
8 research.

9 DR. WALLACK: That was my determination.

10 DR. GOLDHAMER: So I was the second
11 reviewer on this. Let me just comment on these issues
12 raised. I mean I haven't been present on this committee
13 throughout, but I've been part of some of the
14 deliberations on this question.

15 I thought the committee had kind of agreed
16 or decided that even a senior stem cell researcher, who
17 wants to go in new directions, is, can apply and will get
18 full consideration.

19 To me, that makes a lot of sense. There
20 aren't many venues for one to get funds to try new ideas
21 and go in new directions. You can't really apply for at
22 least most NIH mechanisms, there a couple of exceptions,
23 for ideas where you don't have any background or any
24 preliminary data, so, to me, getting a senior researcher

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 trying a new idea that maybe then could be leveraged into
2 a large grant at the federal level is a good use of funds.

3 I can't specifically address whether this
4 is a continuation of work he's already been doing. It's a
5 little nuanced. It's not my direct area, the
6 computational biology aspect of this, so I think there's
7 two issues there.

8 But let me now, Milt, if I could just say a
9 couple of comments about the merits of this particular
10 proposal, in terms of the science? I also had a no for
11 this application, and my concern -- so, in aim one, this
12 applicant is hoping to identify, using computational
13 methods, new regulators of embryonic stem cell
14 differentiation.

15 I think where the grant fell down was in
16 aim two, where they wanted to functionally test the new
17 regulators that they identify, and the reason it fell down
18 is there is essentially no information on how this is
19 going to proceed.

20 Aim two is significantly underdeveloped
21 and, to me, the greatest weakness of this proposal, so
22 despite, you know, these other issues, or in addition to
23 these other issues, I didn't think this grant was
24 meritorious enough to warrant further consideration.

POST REPORTING SERVICE
HAMDEN, CT (800) 262-4102

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 CHAIRPERSON GALVIN: Then we can put the
2 other issues aside and maybe make that a topic for further
3 discussion or guidelines for next year's grant and go
4 ahead with the consensus.

5 DR. WALLACK: I agree. No.

6 MS. TOWNSHEND: The recommendation of the
7 group is to move this grant to the no category. Is that
8 the consensus of the group? This grant is moved to the no
9 category.

10 Next grant for consideration is 10SCA43,
11 Qin Yan, Epigenetic Regulation of Stem Cell Fate by
12 Histone Demethylase RBP2, Yale University, 4.0 is the peer
13 review score, Hiskes and Wallack the peer reviewers.

14 MS. HORN: And there is proprietary
15 information claimed in this application.

16 DR. WALLACK: So Ann and I discussed this
17 yesterday, and we questioned the relevancy, if it had
18 application. The researcher proposes to spend a very
19 limited amount of time. We both agree that we would not
20 recommend funding.

21 MS. TOWNSHEND: The recommendation of the
22 peer review, of the team is to place this grant in the no
23 category. Is that the consensus of the group? This grant
24 is placed in the no category.

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 Next grant for consideration is 10SCA28,
2 Dasaradhi Palakodeti, Study the Role of Cytoplasmic RNA
3 Binding Protein in Human Embryonic Stem Cells and During
4 Neural Differentiation, UCHC is the institution, 3.8 is
5 the peer review score, and the team is Kiessling and
6 Mandelkern.

7 DR. KIESSLING: I have this listed under
8 Gravely(phonetic). Sorry. I need to look at my notes on
9 this. I'm sorry.

10 MS. TOWNSHEND: We'll go on to the next
11 one, 10SCA36, Rosa M. Guzzo, Generation of a Novel Source
12 of iPS Cells for the Treatment of Osteoarthritis, UCHC is
13 the institution, 3.7 is the peer review score, the team is
14 Genel and Hart.

15 DR. HART: Okay. This is from Dr. Guzzo, a
16 postdoc in the DeRisi Lab at the Health Center. The idea
17 is to generate new sources of inducible pluripotent cells
18 to repair cartilage damage with the hypothesis that human
19 cartilage cells harvested from joints will be better than
20 iPS cells developed from skin.

21 The reviewers were somewhat mixed on the
22 results. They complained about little preliminary data,
23 although they did say that this would be novel and useful
24 if it were true. There's a concern that the epigenetic

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 memory of the tissues, the cartilage tissues, may include
2 the disease that generated the problem in the first place.

3 The underlying hypothesis, that the
4 connective tissue source would generate a better source of
5 repair tissues, the reviewers claim there was limited
6 evidence that this was really true, and, so, they were a
7 little skeptical of that claim.

8 This was a little bit of an in between for
9 me. It's kind of the ideal seed grant. It's a postdoc in
10 an active lab. It's got an interesting and potentially
11 useful health related problem, directly health related
12 problem.

13 It does not use embryonic stem cells. It
14 certainly is eligible for federal support, but, again,
15 it's a seed project, which would be more appropriate here
16 than for the federal level.

17 So I was actually very back and forth, and
18 I ended up coming down the side of maybe for this one on
19 the idea that the science is sound, there's some
20 limitations in background, but it's a postdoc beginning
21 researcher. I give them extra kind of points for that
22 point.

23 MS. TOWNSHEND: Dr. Genel?

24 DR. GENEL: Yeah, I agree. I think I was

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 more no than maybe, but I mean I think, for purposes of
2 discussion, I would just assume leave this in the maybe
3 category.

4 MS. TOWNSHEND: Discussion? The team is
5 recommending that this grant be placed in the maybe
6 category. Is that the consensus of the group? This grant
7 is placed in the maybe category.

8 Are we ready to go back, Dr. Kiessling?

9 DR. KIESSLING: Yeah.

10 MS. TOWNSHEND: All right. We are going
11 back to 10SCA28, Dasaradhi Palakodeti, Study the Role of
12 Cytoplasmic RNA Binding Protein in Human Embryonic Stem
13 Cells and During Neural Differentiation, UCHC, 3.8 is the
14 peer review, Dr. Kiessling, Mr. Mandelkern.

15 DR. KIESSLING: Yeah. This is actually
16 also a reasonable application from a young investigator
17 for a seed grant. The problem with it is that they're
18 going to try to apply, and this has actually got to be a
19 confusing part, they're going to try to use invertebrate
20 techniques on human embryonic stem cells, and there's some
21 pilot data, but it's not terribly convincing, but it's
22 such a good application from the standpoint of it being a
23 seed grant for a young investigator.

24 I'd like to leave this in the maybe for the

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 moment.

2 CHAIRPERSON GALVIN: I don't understand
3 what they mean by using invertebrate.

4 DR. KIESSLING: They're looking at RNA
5 binding molecules and proteins, and that's a new field,
6 hasn't been done very much in embryonic stem cells, but
7 they've been doing it a lot in whatever their invertebrate
8 system is, which I can't find my note on that.

9 So they're going to try to use those same
10 techniques in cultured cells. It isn't clear if they're
11 going to have enough material. The biggest problem with
12 this application is it's really ambitious, even for a seed
13 grant.

14 They're going to look not only at
15 undifferentiated cells, but cells as they differentiate
16 into neurons, so it's got lots of parts, and it's probably
17 overreaching. That was a major criticism of the peer
18 reviewers.

19 CHAIRPERSON GALVIN: What would change it
20 to make it a yes? Why would you make it a yes?

21 DR. KIESSLING: I would make it a yes if --
22 it depends -- I don't know.

23 CHAIRPERSON GALVIN: Okay. I have a hard
24 time following the logic.

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 DR. KIESSLING: That's a good question.

2 CHAIRPERSON GALVIN: After all these years,
3 I've learned to speak stem cell-ease reasonably, but
4 haltingly.

5 DR. KIESSLING: I mean, like a number of
6 the applications in this pile, we're not funding a lot of
7 grants, but I think these Connecticut investigators are to
8 be congratulated on coming up with really good ideas, so
9 this is a really good idea. It's just a little before its
10 time.

11 CHAIRPERSON GALVIN: Like one of those
12 wines?

13 MR. MANDELKERN: Dr. Galvin? As the other
14 reporter on this grant, I find it reasonable. He's doing
15 a lot of investigating on binding proteins, and it is
16 ambitious, but I think that's what we're supposed to do
17 with seed grants, fund ambitious investigators to see the
18 results.

19 I don't find too much negative, except that
20 he's an ambitious investigator, and he can do the work, so
21 I would certainly keep it in the maybe, unless, Ann, we
22 want to put it into the yes.

23 CHAIRPERSON GALVIN: Okay, well, there's
24 nobody on this list that isn't ambitious or capable of

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 doing the work. I think you ought to look at logical
2 inconsistencies and bridges too far and things.

3 If somebody has got a great idea and it
4 gets funded and it just doesn't work out, that's okay. If
5 it gets funded and it doesn't look like they're going to
6 be able to go from one to two to three to four to five,
7 then I think we have to look at it very closely.

8 DR. HART: Can I just comment one moment on
9 one of your criticisms? The issue of using genes and
10 proteins from other species here, these are highly
11 conserved proteins that should not really be a problem,
12 and the issue of doing RNA binding protein, followed by
13 sequencing, which I assume, I did not read the grant, I
14 assume that's what they're doing, is totally doable.

15 I mean my lab does that and we publish
16 that, as well, in stem cells.

17 DR. KIESSLING: Their leap is from
18 Dersafala(phonetic). That should work.

19 CHAIRPERSON GALVIN: Okay. Thank you for
20 your comment. That puts a different light on it.

21 DR. FISHBONE: Can I just make an
22 observation? I think we're getting now into the range
23 where it's a little difficult to decide what should or
24 shouldn't be. This is about the cutoff level that I would

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 have anticipated.

2 DR. KIESSLING: Right.

3 DR. FISHBONE: And I think, you know,
4 especially in somebody who is beginning their career as a
5 true seed, whereas a lot of the people we're looking at
6 are established investigators, I think we ought to give
7 this a little bit more credence and support than we might
8 ordinarily, because it is around the cutoff point, and I
9 don't think we should say no.

10 DR. KIESSLING: I would like to be able to
11 compare this when we get a final group together, so that's
12 why I would like to keep it a maybe.

13 CHAIRPERSON GALVIN: I think that's great,
14 and I think that Dr. Hart's explanation makes it a little
15 clearer. What I've tried to say a couple of times this
16 morning, if something is totally illogical and strictly
17 theoretical, I think we need to look at it in a different
18 way, rather than somebody who wants to use good principles
19 and apply a new method. That's what we're talking about,
20 you know, two different kinds of things.

21 MS. TOWNSEND: The recommendation of the
22 team is to place this grant in the maybe category. Is
23 that the consensus of the group? This grant is moved to
24 the maybe category.

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 DR. FISHBONE: Can I ask a question about
2 the maybe group? My understanding, possibly incorrect,
3 was that if somebody wanted it in the maybe group, it
4 wasn't really up for other people's opinions. In other
5 words, if somebody wants it, then it goes to the maybe
6 group. Is that correct?

7 MS. TOWNSHEND: Yes, that is correct.

8 CHAIRPERSON GALVIN: Well, in that case, if
9 the first reviewer says maybe, put it in maybe, and we'll
10 go back and review them all over again. There's no point
11 in having a discussion.

12 MS. TOWNSHEND: Next grant for
13 consideration is 10SCA44, Paul Epstein, Targeting
14 Phosphodiesterases to Induce -- thank you. I tried to do
15 it. Right here.

16 CHAIRPERSON GALVIN: Targeting
17 Phosphodiesterases to Induce Apoptosis of Leukemic Stem
18 Cells.

19 MS. TOWNSHEND: What he said. Peer review
20 score, or the institution is UCHC, the peer review score
21 is 3.6, the reviewers are Hart and Wallack.

22 DR. HART: I guess I'll go first. This is
23 from a fairly senior investigator and Associate Professor
24 at the Health Center, Dr. Epstein, and the project is to

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 find ways to induce apoptosis in leukemic stem cells by
2 targeting nuclear phosphodiesterases to prevent relapses
3 in human leukemias.

4 It really reads like and is reviewed like a
5 classic kind of cancer grant, and I looked for where to
6 connect this to a stem cell program. The reviewers I
7 think mistakenly attributed past funding to this committee
8 when actually it had previous funding from a different
9 state program it's my understanding, has had several --
10 let me get this out here.

11 Several recent projects funded from
12 foundations and state programs, but I see no recent
13 federal support listed, and the reviewers do complain
14 about recent lack of productivity.

15 The overall criticism is not very harsh.
16 The significance is listed as very high if the hypothesis
17 is correct and the researchers can achieve their goals,
18 but I was less convinced that this was really appropriate
19 for this committee, both on the fact that it's listed as a
20 seed grant, where the researcher had previously funded a
21 very similar project on a different cell type and now is
22 coming to us with the same concepts where the leukemic
23 stem cells in my mind was not very well justified as a
24 stem cell topic, so I came down on the side of saying no.

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 DR. WALLACK: So I agree. When I first
2 read it, I had in my vote maybe. As I went through it and
3 re-read it, there were a few issues that I had, building
4 issues, as I went along in trying to understand it, and
5 the bottom line, also, for me is that I don't believe
6 there would be anything that would convince me later on in
7 the day or tomorrow to put this in the yes category.

8 While I had some thoughts, ambivalence at
9 the beginning, I'm clearly on the side of no at this
10 particular point.

11 MS. TOWNSHEND: The recommendation of the
12 team is to place this grant in the no category. Is that
13 the consensus of the group? This grant is moved to the no
14 category.

15 Next grant for consideration is 10SCA47,
16 Carolyn Drazinic, Discovering Treatments to Prevent
17 Neurodegeneration in Huntington's Disease using hESCs and
18 Patient-Derived iPSCs, UCHC is the institution, 3.6 is the
19 peer review score, Kiessling and Mandelkern are the
20 reviewers.

21 DR. KIESSLING: This is, I think, an ideal,
22 almost an ideal seed grant application by an Assistant
23 Professor, who is an MD, Ph.D. and is actually in charge
24 of the Huntington Disease Program at the Health Center.

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 The peer review score, what they say is
2 much higher than a score of 3.6, and I would actually in
3 lots of ways recommend that this application be put in the
4 yes category. I would certainly not want it put in the no
5 category, but I would live with the maybe, but I would
6 like to see this funded.

7 This is a nicely thought out. They're
8 going to make induced pluripotent stem cells from people
9 with Huntington's Disease and then differentiate them into
10 neurons and try to understand Huntington Disease failures.

11 MR. MANDELKERN: I agree with Ann, that the
12 peer review is more enthusiastic than the score, and if we
13 were to just look at the score, we would not possibly put
14 it where I think it should go, in the maybe, because, as a
15 3.6, it's in the lower part of the first 20 seed
16 applications, so I think we have to put it in the maybe to
17 look at it and see how many others we have that might be
18 more worthy, so I suggest a maybe.

19 DR. KIESSLING: Okay. The peer reviewers
20 about this say the significance is very high and very
21 important, innovation is very high, and the investigator
22 has very great potential, so it isn't clear why they gave
23 it a 3.6.

24 CHAIRPERSON GALVIN: What else do you want?

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 We're going to end up discussing the same grants two or
2 three different times for your consideration.

3 DR. KIESSLING: Well I think the concern
4 that Mr. Mandelkern has is the problem is that if we put
5 it with the 3.6 into a yes category, it kind of jumps it
6 way ahead of some others, and it probably needs to be
7 compared with some other really good grants, but 3.6 is
8 certainly minimalistic for this.

9 The peer reviewers were quite enthusiastic
10 about it, so I'm surprised it got higher than a three.

11 DR. FISHBONE: I agree with all of that,
12 but we have not set thresholds, as to how much we're going
13 to fund for seed grants and how much we're going to fund
14 for the established investigators, and I think those that,
15 for one reason or another, whether artificially or not,
16 are in a borderline zone.

17 I think we ought to just hold off before we
18 make a definitive decision.

19 DR. KIESSLING: I'll go with that.

20 DR. FISHBONE: That's the only reason. I
21 agree with everything you say.

22 DR. KIESSLING: That's fine. It can be a
23 maybe.

24 MS. TOWNSHEND: Steve, did you have a

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 question?

2 DR. LATHAM: I did, but if we're going to
3 discuss it as a maybe, I could ask it later, but it had to
4 do with the role of human embryonic stem cells, as opposed
5 to iPS in this grant.

6 MS. TOWNSHEND: This is going in the maybe
7 category, so did you want to hold that question until that
8 time?

9 DR. LATHAM: We can talk about it later.

10 MS. TOWNSHEND: All right, great. So this
11 grant is now moved to the maybe category.

12 Next grant for consideration is 10SCA13,
13 Ee-Chun Cheng, The Role of Epigenetic Factor-HP1 in
14 Regulating Human Embryonic Stem Cell Pluripotency and
15 Differentiation, Yale University is the institution, 3.5
16 is the peer review score, Arinzeh and Mandelkern are the
17 reviewers.

18 MR. MANDELKERN: This is a proposal, again,
19 to figure out I think it's a gene in regulating embryonic
20 stem cell pluripotency and differentiation, the
21 fundamental questions of stem cell research.

22 The peer reviewers were quite enthusiastic,
23 a highly ambitious project, and the role of proteins,
24 again, in embryonic stem cell renewal. They want support

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 for the role of investigating HP1, the gene involved, and
2 it's the summation of the peer review says this is
3 science, which stands to add to our understanding of gene
4 regulation in the pluripotent state and cells
5 differentiate.

6 I think it's a very worthy project. It has
7 a 3.5, which, again, is in that nebulous range. Again, I
8 don't think we should say yes, because there may be other
9 more worthy among 20 above it in score, so necessity it
10 has to go into maybe in cause of the way we're reviewing
11 them, from worst to best, so if we put too many yeses, we
12 might eliminate some coming up later with much better
13 potential.

14 So necessity, the way it was structured,
15 not that I'm being critical, this is a good way to do it,
16 but we have to put -- I suggest a maybe.

17 MS. TOWNSHEND: Second reviewer?

18 DR. ARINZEH: Okay. Yeah, I agree with the
19 recommendation. I think maybe is probably appropriate,
20 because I was borderline between yes and maybe, based on
21 the comments of the reviewer and looking at the proposal.

22 They do think it's ambitious, somewhat
23 ambitious in the aims where they're looking at. They're
24 doing some mapping, and they're going to be generating

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 tons of data. How are they going to analyze that data,
2 make sense of that data, I guess was some of the concerns
3 by the reviewer, so I'd put a maybe, but I think this is
4 an interesting seed grant, appropriate seed grant.

5 It's a postdoc, who is in a lab that is by
6 an investigator, who is well established in the field, so
7 it's an appropriate seed grant.

8 MS. TOWNSHEND: The recommendation is
9 maybe.

10 DR. ARINZEH: Maybe.

11 MS. TOWNSHEND: Did you have a comment?

12 DR. FISHBONE: Yes. Taking a note from
13 President Clinton's date book, what is the meaning of the
14 word yes in this situation? In other words, does yes mean
15 that this is something that is worthy of funding?

16 I mean, at the end, there will be a list of
17 grants that we're saying are worthy of funding, some of
18 which will get funded and some will not, so what I'm
19 wondering is whether by saying yes now I'm assuming that
20 does not mean that that grant will necessarily be funded,
21 but it will place it in a pool from which, you know, when
22 the money runs out, that's the bottom of the pool.

23 So, in other words, I'm wondering if some
24 of these that it seems have a lot of support would it be

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 wrong to put them in the yes category, and then, at the
2 end, when we've got like 14 or 15, of which we can only
3 fund 10, let's say, then we would discuss their relative
4 merits.

5 CHAIRPERSON GALVIN: Very thoughtful
6 suggestion.

7 MR. MANDELKERN: In that case, I would add
8 to my comments, taking into account what Dr. Fishbone
9 said, that we are putting actually into yes things that we
10 may reconsider, because we'll have oversubscribed yes.

11 Dr. Arinzeh and I originally had agreed on
12 a yes recommendation for this proposal, but because of the
13 nature of floundering here, we went back to the maybe, so
14 I would go back to our original, Treena, proposal and put
15 this in the yes, considering that if we oversubscribe yes,
16 we will have to consider them again.

17 MS. TOWNSHEND: Just one note of caution.
18 There was a situation last year, where a grant was put in
19 the yes category, the potential grantee was present, and
20 the grant was later not funded, so I just wanted to raise
21 that awareness, and I want to make sure that people are
22 aware that there were some -- there was some confusion,
23 and that the final vote is the final vote, and that is the
24 deciding vote with regard to anything that is funded.

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 CHAIRPERSON GALVIN: Okay and in regards to
2 Treena speaking about this grant, I have a little problem
3 with that word "ambitious" that keeps popping up. I see
4 it, or hear it used, and you know what I hear?

5 I hear probably impractical, or possibly
6 impractical, so when I hear about a lot of data, a lot of
7 analysis to do within \$200,000 and then I hear, well,
8 that's pretty ambitious, that term usually means you're
9 probably not going to be able to do, in my experience,
10 you're probably not going to be able to do what you set
11 out to do, and we need to be careful about that, the
12 interpretation of what that means.

13 MS. TOWNSHEND: So the team is one yes and
14 one maybe at the moment. It goes in the maybe category.
15 It goes in the maybe category.

16 Next grant for consideration is 10SCA16,
17 Erik M. Shapiro, In Vivo Evaluation of Human ES, IPS and
18 Adult Brain Derived Neural Progenitor Cell Transplantation
19 and Migration Using MRI, Yale University is the
20 institution, 3.5 is the peer review score, Dees and
21 Fishbone the reviewers.

22 DR. DEES: The goal of this study is to
23 understand whether progenitor cells derive either straight
24 from the brain, or by induced pluripotent route, or by

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 human embryonic stem cells will work most effectively,
2 both in the lab and in animals, so the specific aims are
3 to find the means to propagate, differentiate and arrest
4 each kind of cell to see if they are similar, and then to
5 graft them into rat brains and study their migration in
6 the animals.

7 This is a grant from an Assistant
8 Professor, Assistant Professor since 2005, so pretty
9 junior. The reviewers like the study design. They've had
10 previous grants, and they were a little bit worried about
11 the lack of publications from the previous grants, but how
12 useful this will be for future therapies is really pretty
13 clear, and, so, I would say a pretty -- I guess I want to
14 say yes, but given where we've been going, I'll make it a
15 tentative yes.

16 MS. TOWNSHEND: Dr. Fishbone?

17 DR. FISHBONE: Well I would have said
18 strongly yes, because he seems to be one of the few people
19 in the field who are working in this idea of MRI-based
20 cell tracking, and I think that's going to be a very
21 useful technology for many different aspects of stem
22 cells.

23 One of the major difficulties, I think, in
24 stem cell research is knowing where do the stem cells go,

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 and are we putting them in the right place and so on, so I
2 think the technique is a very important one to support
3 further investigation with it.

4 MS. TOWNSHEND: The recommendation is
5 maybe?

6 DR. DEES: I think you got a yes on that.

7 MS. TOWNSHEND: Two yeses? Is it the
8 consensus of the group that this be placed in the yes
9 category?

10 DR. KIESSLING: The score on this is a 3.5?

11 MS. TOWNSHEND: Yes, it's a 3.5 peer review
12 score. Again, is it the consensus of the group that this
13 be put in the yes category?

14 CHAIRPERSON GALVIN: Hang on here. I think
15 Ann may have a comment.

16 DR. KIESSLING: Just seems risky.

17 CHAIRPERSON GALVIN: I haven't looked at
18 this grant, in particular, but it seems like an awful lot
19 of work for a couple of hundred thousand bucks,
20 particularly when you're doing a lot of MRI stuff.

21 DR. DEES: But, oddly, this was not a grant
22 in which the reviewer said it's overly ambitious.

23 CHAIRPERSON GALVIN: No.

24 DR. FISHBONE: By the way, the kind of MRI

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 is different from the MRI that we're used to. This is on
2 a special animal MRI. It's a lot cheaper than humans.

3 Humans seem to have a much greater value
4 when it comes to the cost of examining them, so I think,
5 you know, he addresses that, and it's just a question of
6 whether you think that it's worth supporting research
7 using this kind of methodology, you know, because I think
8 it's going to have significance in the future of stem cell
9 work.

10 CHAIRPERSON GALVIN: You okay with that,
11 Dr. K.?

12 DR. LATHAM: Can I get a just a summary
13 count either from Chelsey, or from Lynn, or someone else
14 who is keeping track? How many stem -- how many seeds
15 have we looked at, and how many are left with higher
16 scores than what we've looked at so far?

17 MS. TOWNSHEND: We've looked at 38, if I'm
18 reading this correctly.

19 DR. LATHAM: And there are 15 with higher
20 scores than the one we're looking at now.

21 MS. TOWNSHEND: At this point --

22 (Off the record)

23 DR. HART: I understand from last year that
24 even if we're oversubscribed in the yes category, that we

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 still do come back and visit the maybes. Is that true?

2 MS. TOWNSHEND: Yes, that's correct.

3 DR. HART: Okay.

4 MS. TOWNSHEND: There are 16, Mr.

5 Mandelkern? Sixteen still to consider. At this point,
6 the recommendation is yes. Is that the consensus of the
7 group? Sir?

8 DR. FISHBONE: Can I maybe move that to a
9 maybe, only in the sense that there are a lot more grants
10 to look at, and we don't want to have the same problem
11 that you described earlier.

12 MS. TOWNSHEND: Maybe, it is, unless I hear
13 otherwise from the group. This grant is placed in the
14 maybe category.

15 Next grant for consideration is 10SCA12,
16 Yingqun Huang, Analysis of the Biological Function of
17 Lin28 in Human Embryonic Stem Cells using a Novel RNA
18 Interference Method, Yale University is the Institution,
19 3.3 is the peer review score, Arinzeh and Fishbone are the
20 reviewers.

21 DR. FISHBONE: Dr. Huang wants to test the
22 hypothesis that knockdown of Lin28 may decrease
23 proliferation and induced differentiation of human
24 embryonic stem cells and induced pluripotential cells.

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 He's basically probing the basic biology of
2 pluripotent cells, and it's an important undertaking to
3 better understand what pluripotency differentiation in
4 cell programming are.

5 One weakness is it doesn't appear to
6 articulate much of a project beyond performing the
7 knockdown experiment. It's more of a hypothesis
8 generating than hypothesis driven project.

9 Also, they have concerns regarding the
10 specificity of the Lin28 knockdown and, also, some concern
11 about overlap with already funded research, so while they
12 feel this is an important area to look at, they're not
13 quite sure what he's going to do with it and whether what
14 he finds will be very specific and may already have
15 funding for this project or for some of this project
16 overlap.

17 MS. TOWNSHEND: Second reviewer?

18 DR. ARINZEH: Just a comment that while the
19 reviewers did comment how highly significant the work is,
20 so they thought it was a very, you know, interesting
21 proposal and could have significant impact, but, yeah,
22 there is this concern about overlap with I guess a
23 proposal that was funded last year with a similar title,
24 Molecular Function of Lin28 in Human Embryonic Stem Cells,

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 so that would be my concern.

2 MS. TOWNSHEND: The recommendation of the
3 team is?

4 DR. ARINZEH: I say maybe.

5 DR. FISHBONE: I would say maybe.

6 MS. TOWNSHEND: It goes in the maybe
7 category.

8 DR. FISHBONE: Because I'm a little
9 concerned. When you're getting down to this number, do
10 the recipients of the grants have any idea what the
11 numbers are of their rating?

12 MS. TOWNSHEND: I believe they have had
13 access to that, yes.

14 CHAIRPERSON GALVIN: Yeah. It's posted.

15 DR. FISHBONE: So you have the -- you may
16 have, as you say, the inconsistency of a grant with a
17 better number not getting funded.

18 MS. TOWNSHEND: That's correct.

19 DR. FISHBONE: Than having to justify that,
20 which may be difficult for you.

21 MS. TOWNSHEND: Go ahead, Warren.

22 MR. WARREN WOLLSCHLAGER: If I could just
23 respond to that? If we're simply going by peer review,
24 then we should just go by peer review. I mean, there's a

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 lot of other factors that should be considered besides
2 just a peer review score, and, really, I'm not a
3 scientist, but I'm not sure I understand the significance
4 between a 3.3 and 3.2, so I don't think we need to be
5 overly concerned about the minutias of the peer review
6 scores.

7 MS. TOWNSHEND: Yes, sir?

8 DR. WALLACK: I totally agree. I mean I
9 think that we're here, to the best of our ability, to
10 deliberate. I've given up two days. People have traveled
11 from out of state, and I think that we have to make our
12 own judgments.

13 Sure, we use the guidance, and it's an
14 important aspect of what we do, but we have to be able to
15 invest ourselves in this process.

16 CHAIRPERSON GALVIN: Well I think what you
17 say makes good sense to me, Milt, and I think we're making
18 our own decisions, and we need not to be concerned whether
19 some cases, well, you know, Wollschlager got funded and he
20 had a 3.2, and I didn't and I had a 2.9. That's not
21 right.

22 We're looking at what we think is
23 appropriate for a statewide program, and the folks who
24 look at it internationally are looking at different kinds

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 of things, and they have different associations with
2 various universities and individuals, so I think we need
3 to make up our own mind.

4 And if the consensus of this board is we
5 don't think it's a very good project for us to invest our
6 effort into, then we need to move on to another one.

7 MS. TOWNSHEND: It sounds like this grant
8 is going into the maybe category, so if we're ready to
9 move on, the grant that we're considering next is 10SCA22,
10 Matthew S. Rodeheffer, Identification and Characterization
11 of Multipotent Cell Populations from Human Adipose Tissue
12 for Application in Regenerative Therapies, Yale University
13 is the institution, 3.3 is the peer review score,
14 Goldhamer and Pescatello are the reviewers.

15 DR. GOLDHAMER: Okay, so, this is a grant
16 from a new Assistant Professor, who started in 2009. It's
17 a resubmission of a seed grant from last year. The grant
18 is essentially identical to what was submitted last year,
19 with just a bit of additional preliminary data.

20 The purpose of the grant is to identify and
21 characterize populations of cells from human adipose
22 tissue that will provide a superior starting material for
23 use in tissue engineering and regenerative medicine.
24 That's kind of the stated goals.

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 Both the reviewers and I were a little
2 concerned of the lack of clarity in defining the
3 significance. The major emphasis here is on the
4 production of fat, and I think the applicant could have
5 done a better job in explaining to us the great need for
6 additional fat in regenerative medicine.

7 I'm being a little glib, but I am serious
8 in saying that I think it's the responsibility of the
9 investigator to really tell us more about why this is an
10 important project.

11 Now there are strengths, a number of
12 strengths in this proposal. This investigator has
13 published and published prominent work in the
14 characterization of what he calls an adipose derived
15 multipotent stem cell, ASC for short, from mouse tissue,
16 and, essentially, this is a relatively straightforward
17 proposal, where he wants to apply what he has learned in
18 the mouse and identify and characterize similar cell types
19 from human fat.

20 So, in aim one, he wants to test a panel of
21 markers on human tissues to try to purify a comparable
22 population and test whether they can differentiate down
23 multiple lineages, fat being one of them, but, also,
24 cartilage, bone and muscle, and, in aim two, he wants to

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 test these cells in vivo by injecting them into
2 immunodeficient fatless mice.

3 So, again, the grant is straightforward.
4 The investigator probably will be successful, although
5 there are differences in marker profiles between mouse and
6 humans. This is an experienced person, who can figure
7 this out, I think.

8 The question is whether or not -- how
9 significant is this proposal for this funding mechanism,
10 and that is where I had a little bit of trouble, and the
11 reviewers also weren't -- they were enthusiastic, but not
12 as enthusiastic as a number of other grants that I read,
13 and they were concerned about significance, as I've
14 already stated.

15 One thing that I also want to mention is
16 that he did include human embryonic stem cells in this
17 grant by merely saying that he could use human ESCs if he
18 cannot identify these multipotent cells from human fat,
19 but he said nothing else about human ESCs. It's almost
20 like he needed to add the word to the proposal to make it
21 applicable to this funding mechanism, so that wasn't
22 great.

23 So because of these concerns, concerns
24 about the significance, and the fact that this type of

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 project is certainly fundable by a number of other
2 mechanisms, despite a solid score of 3.3, I had put it in
3 the no category.

4 MS. TOWNSHEND: Paul?

5 DR. PESCATELLO: I put it in the maybe
6 category, because I thought on two fronts. There's sort
7 of a basic research aspect to it, learn more about fat
8 cells, and, also, the mouse to human also has a nice
9 translational aspect to it, so I thought, because the
10 score was pretty good, but I agree with David on the flaws
11 that he pointed out.

12 Given the other things we've discussed, I
13 would put it in the maybe at this point.

14 DR. GOLDHAMER: I mean I would be okay with
15 maybe. I was trying to make a definitive determination
16 and try to get a few grants off the table. My actual
17 recommendation was maybe, leaning towards no, and I
18 convinced myself as I was talking that I was comfortable
19 with the no.

20 DR. PESCATELLO: The reviewers talk about a
21 large amount of preliminary research that's been done,
22 which is good, but that backs up this proposal and cause
23 an overall very strong application for seed and junior
24 faculty. That's what seed grants are all about, so I

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 would say maybe.

2 MS. TOWNSHEND: This grant would be placed
3 in the maybe category.

4 CHAIRPERSON GALVIN: Okay. That's seven
5 out of the last eight that are in maybe, so I'm not sure
6 whether we can or should skip ahead to the top rated
7 grants, because everything else I think is going to end up
8 as a maybe.

9 MS. TOWNSHEND: Discussion?

10 DR. FISHBONE: Could I just ask one general
11 question? When we didn't fund somebody like him last
12 year, what happened to that researcher? Did he do any of
13 this work under another grant, or did he completely take a
14 different turn?

15 In other words, there's a year that's
16 unaccounted for, in terms of --

17 DR. GOLDHAMER: Well I can't answer that in
18 its entirety, but I do know that he did add a little bit
19 more preliminary data to this. He started the cell
20 sorting analysis to try to identify this cell type in
21 humans.

22 He did find a population that had some
23 characteristics of what he was looking for. It wasn't
24 exactly what he was looking for, but he has made some

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 progress. He doesn't have external funding. He has a
2 large startup package from Yale. He started last year, so
3 that's, as far as I know, what he's been doing.

4 DR. LATHAM: As to the Commissioner's
5 suggestion, that we skip ahead, I know we probably can't,
6 and, in any case, I'm going to recommend no on one that's
7 coming up.

8 MS. TOWNSHEND: But is your partner?

9 DR. DEES: Just about that grant, I
10 actually had a small ethical concern. I mean they're
11 getting these fat tissues from people from basically
12 discarded fat tissue.

13 I mean I don't know whether legally they
14 need to get permission and stuff, but there was nothing
15 about getting any permission for these kinds of materials,
16 and it struck me as at least a question to be raised about
17 this grant.

18 MS. HORN: It's certainly something this
19 committee can weigh in on. It also must be approved by
20 the institution's ESCRO committee before it gets funded.

21 DR. DEES: Yeah. I mean they were talking
22 about they got HIPAA waivers, which I was a little
23 confused why even HIPAA waivers were even relevant here,
24 though maybe I don't understand something here, but

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 nothing about even looking for human subject approvals and
2 stuff.

3 MS. HORN: They do need to have all of that
4 before we would fund it.

5 MS. TOWNSHEND: So this grant is going into
6 the -- yes, sir?

7 DR. WALLACK: So, picking up on David's
8 thought process, we're going to have to be going back over
9 these grants, and this one, in particular, I've heard a
10 lot of concern. It's going to be hard for me to imagine
11 how all of those concerns are going to be able to be
12 overcome in a second discussion.

13 I'm wondering if we, therefore, can't put
14 it into -- have a reconsideration of the maybe to a no,
15 especially since it's not like this is the first time.
16 Last year, we went through the same thing with this
17 investigator, and it wasn't funded.

18 Now we have another sequence, so I'm
19 wondering why we just can't go to the no right now,
20 especially when it says the significance of the proposal
21 is still not clearly defined.

22 MS. TOWNSHEND: As outlined earlier,
23 because there is a maybe, it would go in the maybe
24 category.

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 DR. WALLACK: I understand that, but I'm
2 wondering if the maybes might want to reconsider.

3 DR. PESCATELLO: Let me ask David a
4 question, the scientist.

5 MR. MANDELKERN: Well I would put it into a
6 maybe, because I think this is a very important area of
7 research and is certainly getting a lot of commercial
8 attention, the question of white and brown cells. I think
9 we have to put it into the maybe. It has sufficient
10 strength not to put it away now.

11 DR. PESCATELLO: Let me ask David a
12 question, as I said, the scientist. So, if I understood
13 the proposal correctly, one of the things he's trying to
14 do is to create adipose tissue, but, also, in and of
15 itself, for transplantation, but I thought, also, that he
16 was trying to find multipotency in the adipose tissue for
17 use, for differentiation into other types of tissue, so I
18 didn't understand the reviewer saying you're just talking
19 about fat.

20 I thought he was talking about finding
21 things in fat to be able to make other types, like
22 cartilage and heart muscle, and, so, that didn't jive with
23 their -- and that's another reason why I put it in the
24 maybe category.

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 DR. GOLDHAMER: You're right. He does
2 mention that he's looking for a multipotent cell that can
3 adopt these other lineages, as well. I mean it is partly
4 a matter of grantsmanship that he chose to focus on fat
5 for most of the grant, but he mentions in a couple of
6 places that he wants to assay these cells for their
7 ability to make muscle and bone and cartilage.

8 So, clearly, he's thinking about a cell
9 that has a greater capacity than just making fat. He
10 didn't get that across or emphasize that enough, but
11 you're right. And, so, why fat?

12 Many tissues have stem cells that a lot of
13 groups are trying to isolate. Fat, as he mentions, has
14 the advantage of it is relatively easy to get,
15 unfortunately, and it's easy to dissociate, so,
16 apparently, yields of stem cells from fat may be higher
17 than in some other tissues.

18 MS. TOWNSHEND: We are already well past
19 the time of five minutes and five minutes. This grant is
20 going into the maybe category.

21 CHAIRPERSON GALVIN: I'm going to make
22 myself obnoxious by, once again, or more obnoxious, by,
23 once again, saying that I find it very difficult to
24 understand that, with the kind of exceptions that were

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 raised, how is this all is going to move from one area to
2 the other?

3 I'm beginning to feel with this morning's
4 group that we're sort of trying to figure I wonder what he
5 really is trying to do, and how can I -- I think he's
6 trying to do this, or she's trying to do that. I don't
7 think that's our point.

8 I think, when we have distinguished
9 scientists that say it's flawed here, it's flawed there, I
10 think you said something about adding something at the
11 end, or adding a word, or a phrase, just to make it work,
12 that bothers me.

13 DR. GOLDHAMER: I mean that's my
14 interpretation, but, yes, I think the grant has nothing to
15 do with embryonic stem cells, but he uses that language, I
16 think, because it's more palatable.

17 CHAIRPERSON GALVIN: The grant has nothing
18 to do with embryonic stem cells. We'll put it into a
19 maybe.

20 DR. PESCATELLO: Dr. Galvin, just as to
21 your frustration about all the maybes, I guess I would
22 just come back and say that I think it's very hard to know
23 how we're going to come out, until we see the whole group,
24 and then all sorts of other considerations at that point,

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 both the amount of money, you know, as to your comment
2 about the overly ambitious, I would say there's a lot of
3 criticism from the lay community of academics that are
4 very conservative, maybe too conservative, too
5 incremental, and, so, I see overly ambitious and I think,
6 hum, let's fund something that's, you know, from the
7 outside looking in to academia, I'd say let's push them a
8 little bit.

9 So I think those types of considerations at
10 that point, when we see the whole group of things, of
11 maybes, I would be surprised, too. I would just say, as
12 we get the higher scores, that we don't say this is
13 definitely a yes.

14 CHAIRPERSON GALVIN: I think your comments
15 are well taken, but when I hear that this is not really
16 applicable to stem cell, and I'm Chairman of the
17 Connecticut Stem Cell Committee, and we're trying to
18 dispense 10 million dollars for stem cells, I had a little
19 trouble. There's a logical disconnect there for me.

20 DR. PESCATELLO: I think that's good to
21 hear from the scientists if there's a very little stem
22 cell nexus. As a layperson, I would say I'm impressed by
23 the translational aspect of it, too, which is also a
24 charge of our group.

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 DR. GOLDHAMER: Well let me clarify.
2 There's little human embryonic stem cell connection. I
3 mean these may be stem cells, or progenitor cells,
4 multipotent cells, is what he's looking for, that can
5 adopt different phenotypes, so it is potentially a stem
6 cell grant, but not a human embryonic stem cell grant.

7 DR. FISHBONE: Can I ask you a question?
8 It's my impression that last year we expanded what we
9 would consider funding to include induced pluripotential
10 cells, so that although it's not a human embryonic stem
11 cell project, I thought we had -- we are funding, I think,
12 some things that are induced pluripotential, and I think a
13 lot of people are looking at fat, because it could be a
14 very important source of pluripotent stem cells.

15 MR. MANDELKERN: I think we've spent a lot
16 of time, and we're all anxious to see the grants that this
17 has to be compared to, so I think of necessity it has to
18 be a maybe.

19 MS. TOWNSHEND: With all due respect, I
20 would recommend that we move on to the next grant for
21 consideration.

22 Next grant for consideration is 10SCA38,
23 Chunsheng Dong, Efficient Gene Targeting in Human
24 Embryonic Stem Cell via Recombineering Based Long Arm

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 Targeting Vector, the institution is Yale University, the
2 peer review score is 3.3, and the reviewers are Hart and
3 Mandelkern.

4 DR. HART: This is a seed application from
5 a postdoctoral associate or recent Ph.D., 2006 Ph.D.
6 joined Yale Stem Cell Center in 2009. Excellent training
7 facility.

8 The project is potentially valuable. It's
9 to learn how to take advantage of some recombineering
10 techniques in yeast and bacteria to apply them to do
11 homologous recombination in human stem cells, which would
12 give us the advantage of making knockouts, knock-ins and
13 so on that's always been lacking in human stem cells.

14 So, overall -- oh, I should say the
15 advisor, Che Hung Sho(phonetic), wrote a very strong
16 support letter, as well. The reviewers had what I
17 consider to be quite minor scientific complaints, one
18 about the choice of which gene to use to validate the
19 technology.

20 I think that, realistically, any competent
21 scientist, such as this postdoc's advisor, would see the
22 writing on the wall when they saw the review, if not,
23 before, and there was comments about the serum-free,
24 feeder-free differentiation conditions, which, again, I

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 think, in this environment, are relatively minor.

2 Dr. Dong has strong training in virology
3 and molecular biology, which is appropriate for this type
4 of a grant. I guess, when it comes down to this, I look
5 at the idea of the seed grant and the criteria for what
6 this committee is intending to be funding.

7 This is embryonic. This is relatively
8 useful, in terms of the science of stem cells. It's a
9 beginning investigator and an outstanding training
10 environment, and, so, I'd like to try to be decisive on
11 this one and come down and say yes, even though I have
12 some that I'm very much less enthusiastic about coming up
13 in the higher scores.

14 MR. MANDELKERN: As the other reviewer, I
15 concur with Dr. Hart. I would come down on a yes. It's
16 very worthwhile science, and the credentials are
17 outstanding with publications and other work that he or
18 she, the reviewer didn't know whether it was a man or a
19 woman --

20 I would also say propose a yes for this
21 grant.

22 MS. TOWNSHEND: The recommendation of the
23 team is to put this grant in the yes category. Is there
24 any discussion, or is that the consensus of the group?

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 This grant is placed in the yes category.

2 Next grant for consideration is 10SCA45,
3 Jun Lu, Establishing Gene-Expression-Based High-Throughput
4 Assays for hESC Differentiation, Yale University is the
5 institution, 3.3 is the peer review score, Hiskes and
6 Wallack are the reviewers.

7 DR. WALLACK: So Ann and I discussed this
8 yesterday. Ann initially was probably on the side of
9 wanting to fund this. We had an extended conversation,
10 and she also, at this particular point, similar to my own
11 consideration, feel that it's a grant that we probably
12 would not, at this point, want to fund.

13 It's a continuation of some similar work.
14 In our estimation, it's similar to a previous grant that
15 we've already considered earlier this morning, and it's a
16 grant by an established investigator, who is working on a
17 grant that was awarded last year as a four-year duration
18 to 2013, so it's our considered opinion that we would say
19 no to this grant.

20 MS. TOWNSHEND: The recommendation of the
21 review team is to move this grant to the no category. Is
22 that the consensus of the group? This grant is moved to
23 the no category.

24 Next grant for consideration is 10SCA30,

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 Efrat Oron is the potential grantee, Molecular Mechanisms
2 of Germ Layer Induction in Human Embryonic Stem Cells,
3 Yale University is the institution, 3.2 is the peer review
4 score, Goldhamer and Wallack are the reviewers.

5 MS. HORN: And there is proprietary
6 information that is claimed in this grant.

7 DR. WALLACK: You want me to start? I
8 thought that this grant was a very well thought out,
9 potentially very important avenue of research. It's by a
10 young investigator fitting the kind of consideration that
11 Ron just talked about, actually, that the person is quite
12 accomplished. There's a very, very good team around this
13 particular individual, and I think that this particular
14 grant should, in fact, be funded. I would give it an
15 enthusiastic yes.

16 DR. GOLDHAMER: Okay and I will just temper
17 that enthusiasm a little bit with a couple -- my
18 enthusiasm is tempered a little bit, and I'll tell you
19 why. So one reviewer thought that this absolutely should
20 be funded, that this was a promising young investigator
21 and a good lab.

22 The other reviewer had very serious
23 concerns about one of the approaches, and, so, I'll just
24 give you a little bit of detail. So one thing that this

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 group wants to, or this postdoc wants to do is to do
2 transcription profiling of embryonic stem cells as they
3 differentiate into EBs, embryoid bodies.

4 Now the reviewer was concerned that getting
5 a transcription profile of an EB doesn't give you that
6 much information, because the embryoid body is made up of
7 many, many cell types from all three layers, and there's
8 doubt in my mind, as well as in the reviewer's mind, how
9 much useful information will come out of that kind of
10 analysis.

11 The other concern was that they then plan
12 on doing functional analyses with up to 100 of these genes
13 that they identify as potentially significant. It's not
14 entirely clear how they'll come up with that list, but 100
15 genes analyzed from the seed grant to me seems should I
16 say overly ambitious?

17 So just for the record, overly ambitious is
18 code for unrealistic, or any other lack of focus, so,
19 anyway, so it's a new promising investigator. I'd like to
20 support the work. I just had issues with, you know,
21 technical issues, so if someone else would like to weigh
22 in on this and whether or not they agree or disagree, I'd
23 appreciate it.

24 DR. WALLACK: So I understand, David, how

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 you temper your feelings on it, and I'll come back and
2 indicate, though, that it does seem, from my reading of it
3 and, more importantly, maybe the peer review group, that
4 it is thought to be a very, very well-written grant.

5 There's significant support, letters of
6 support for the grant, and there is significant enthusiasm
7 for the studies that are proposed. The people who he'd be
8 working with and the labs that he'll be involved with are
9 very, very strong people, and, again, it's my sense that
10 while -- if this was an established investigator grant and
11 some of the aspects that David rightly presents was part
12 of that, I would probably have more hesitation.

13 I don't have that hesitation with this
14 particular grant, being a seed grant, being a young
15 investigator, being somebody who already has a track
16 record and is fortunate to be able to work under the
17 mentorship of a strong group. I don't have that same
18 concern, and I think that I would want to give this
19 particular individual, for all the reasons that I've
20 stated and the peer review people have stated, the
21 opportunity, and that's why I would vote yes.

22 DR. GOLDHAMER: So I agree with that
23 analysis. I still do have concerns about what is actually
24 being done, and, so, I would vote a maybe.

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 MS. TOWNSHEND: This grant goes in the
2 maybe category.

3 Next grant for consideration is 10SCA18,
4 David G. Wells, Control of mRNA Translation in Neuronal
5 Differentiation from hESC, Yale University is the
6 institution, 3.0 is the peer review score, Fishbone and
7 Goldhamer are the reviewers.

8 DR. FISHBONE: He proposes to study, or his
9 studies use state of the art molecular approaches to gain
10 insight into the contribution of, here we go, cytoplasmic
11 polyadenylation element binding protein, otherwise known
12 as CPEB, in the control of mRNA stability and translation
13 in human embryonic stem cells and in differentiation to
14 neuronal phenotypes.

15 So he's using state of the art approaches
16 to look at the contribution of this protein to the control
17 of mRNA stability and translation. The strengths include
18 fundamental biological and clinical relevance, experience
19 of the applicant, preliminary data pointing to the key
20 role of CPEB proteins in biological control, and potential
21 value as a therapeutic target.

22 The weaknesses are the requirement to
23 further define contributions of culture conditions to mRNA
24 metabolism and a -- of preliminary data and discussion of

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 the potential pitfalls, as well as the alternative
2 approaches.

3 It doesn't sound like a fatal flaw, but I'd
4 like to hear what David has to say about it.

5 DR. GOLDHAMER: So a couple of issues I
6 wanted to bring up. So it's an interesting proposal. It
7 is risky, in the sense that this factor that they want to
8 study, CPEB, and its role in neurogenesis and embryonic
9 stem cells has not been investigated, so it might be
10 interesting, it might not be interesting, but there's no
11 preliminary data to suggest that it is interesting or
12 involved in neurogenesis in this system, so that is a
13 concern.

14 Then the other technical issue that I had
15 with aim two, I won't go into a lot of details here, but
16 what they want to do is to transfect embryonic stem cells
17 with an inhibitory form of CPEB and look to see what
18 effect that has on neuronal differentiation.

19 Now they say that, again, without going
20 into too much detail, their transfection efficiency could
21 be as low as 10 percent and up to 50 percent, but if
22 you're transfecting an inhibitory molecule into a
23 population of cells and you only have a 10 percent
24 transfection rate, you're not going to see the affect.

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 So that is a significant flaw in that
2 aspect of that aim. Now that's not the only aspect of
3 that aim, which, if it was, I would say there's no way,
4 but they aren't going to do some single cell analysis, and
5 they do have a way of identifying those individual cells
6 that have picked up this inhibitory molecule, so it's not
7 all done on a population level, so I don't consider that
8 one flaw to be a fatal flaw for that entire aim.

9 So, anyway, its translational control is
10 emerging as very important, as known to be a very
11 important biological control. This molecule maybe is
12 interesting in some context. It's unknown in ES cells,
13 and then I have concerns, technical concerns, so this
14 grant score was seventh best, 3.0.

15 Jerry, since you led, do you want to give
16 your recommendation first?

17 DR. FISHBONE: I think I went from a yes to
18 a maybe, given all of your concerns.

19 DR. GOLDHAMER: I just wanted you to say
20 maybe first.

21 MS. TOWNSHEND: That's a maybe. Next grant
22 for consideration is 10SCA31, Anton M. Bennett, Dual-
23 Specificity Phosphatases and Muscle Stem Cell Regulation,
24 Yale University, 3.0 is the peer review score, Hart and

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 Wallack are the reviewers.

2 DR. HART: I'll give you the quickie, then.

3 The project is to determine how phosphatases regulate
4 muscle stem cell renewal in skeletal muscle regrowth and
5 regeneration, and, so, in this project, our definition of
6 stem cell is the underlying cells that help muscles to
7 regrow and regenerate after injury or disease, otherwise
8 known as satellite cells in most cases.

9 So this researcher is a fairly senior
10 person, Associate Professor at Yale Med and Pharmacology.
11 The reviewers find this to be a well-written, well-
12 thought-out grant, which one would expect from such a
13 productive and senior researcher for a seed proposal.

14 Point out that he has been very productive
15 with recent papers in highly competitive journals, so we
16 should have, you know, strong respect for the science and
17 the grant application.

18 I'll point out, programmatically, that the
19 topic of this proposal is extremely similar sounding, just
20 from the title, to a recently expired R01 grant from NIH,
21 Myogenesis by Protein Tyrosine Phosphatases, is the title,
22 and that should have expired the end of March.

23 He has another R01 that's still in effect,
24 which sounds actually quite different. The reviewers --

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 one complaint is the question about why he chose MAP
2 kinase phosphatase 5 with apparently limited preliminary
3 data, although it's clear that, again, this researcher is
4 highly expert on this topic and I think would do well no
5 matter what you handed him.

6 So my real -- you know, it's an excellent
7 grant. It's an excellent proposal. My two strikes here
8 in my mind are, one, is that I'm not sure it really
9 qualifies as a true seed grant. It's not a terribly new
10 direction of research for an established investigator.
11 That's why I say that.

12 And, two, is that it's only in the most
13 limited definition of the term a stem cell grant. You
14 could argue that a tissue stem cell is a stem cell, but I
15 think, for the priorities of this grant, one wouldn't put
16 this in the highest priorities for this program.

17 So I'm very torn. I feel as though it's a
18 strong science. I'm just not sure this is the right place
19 for it.

20 DR. WALLACK: So I'll pick up. I'm not
21 sure what distinguishes this proposal. Seems my
22 observations were that it seems as though it follows other
23 work that he's already been doing, and it seems as though,
24 Ron, I'm not quite sure you might be able to talk to this

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 more than I can, this led me actually to come down on the
2 side of not funding it, is that it seemed as though this
3 is a project that could easily be funded from other
4 sources and that could more appropriately, in fact, be and
5 should be funded from other sources.

6 I'm also not sure of the commitment time
7 wise of the researcher. Very little time is being spent
8 by the researcher, and it almost appears as though, in
9 reading the proposal, that he's acting as a PI for other
10 young investigators. All of these reasons I would come
11 down on not funding it.

12 DR. HART: Yeah and, in fact, if this, for
13 example, if this had been a proposal for a postdoctoral
14 fellow in this person's laboratory as a seed project, I'd
15 be much more enthusiastic about it, but as it came in, the
16 way it's outlined, I'd like to be decisive and say no, as
17 well.

18 MS. TOWNSHEND: The recommendation of the
19 team is to place this grant in the no category. Is that
20 the consensus of the group?

21 DR. KIESSLING: This is CA31?

22 MS. TOWNSHEND: Yes. This grant is moved
23 to the no category.

24 Next grant for consideration is 10SCA42,

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 Xin-Ming Ma, Exploring the Roles of Kalirin in Human
2 Neural Stem Cells, UCHC is the institution, 3.0 is the
3 peer review score, Hart and Latham are the reviewers.

4 DR. LATHAM: While we're being decisive, I
5 also want to put this in the no category. I was
6 absolutely mystified, as to how it got the 3.0. If I can
7 read from the reviewer's statement?

8 The applicants propose to study the role of
9 kalirin in neural fate specification in a human
10 developmental model. Unfortunately, there is little
11 preliminary data to suggest that this protein should play
12 such a role. Their own data suggests that it's not
13 involved at all in this process.

14 A little further down, the overriding
15 problem with this proposal is the issue of preliminary
16 data in their own models, etcetera. Basically, for the
17 first two-thirds of the review, they say that this is not
18 based on good preliminary data, and then you realized that
19 review is a committee process, and you get a little bit
20 further down and someone else, evidentially, says, based
21 on their -- oh, I have to find it.

22 Their strong preliminary data, they're
23 complimented by what is evidentially a different peer
24 reviewer on preliminary data, but that reviewer goes on to

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 say, to criticize the design overall of the proposal and
2 its ability to reach a conclusive endpoint.

3 So how those things together ended up with
4 a 3.0 I don't understand, and I would recommend against
5 funding.

6 DR. HART: The comment that I have written
7 at the bottom of the review form I have is review sounds
8 worse than the score, and I think that's absolutely true.
9 I was trying to look at it in the best possible light.
10 Again, this is an Assistant Professor, but a professor
11 that's been on board since 2005 and has been at the Health
12 Center since 2000.

13 I don't give this as much, then, leeway as
14 I would a beginning postdoctoral fellow, is why I bring
15 that up, so, again, to give it its due, because it's based
16 on fundamentally sound science, Roe(phonetic) wanting
17 exchange factors are very exciting in stem cell
18 differentiation and so forth, but I think the reviewers
19 are correct, that they were unable to come up with
20 sufficient preliminary data to raise our enthusiasm to the
21 point it should, so I guess I'd agree with a decisive no,
22 then.

23 COURT REPORTER: One moment, please.

24 MS. TOWNSHEND: The recommendation of the

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 team is to move this grant to the --

2 DR. HART: Let me just finish by saying
3 that the size of no's to make sure there is room for other
4 maybes we've had that really do have much more sound
5 science.

6 MS. TOWNSHEND: Thank you. The
7 recommendation of the team is to move this grant to the no
8 category. Is that the consensus of the group? This grant
9 is moved to the no category.

10 Next grant is 10SCA21, Xiaofang Wang,
11 Regulating Caspase Activity to Enhance Differentiation
12 Efficiency of Human Embryonic Stem Cells, UCHC is the
13 institution, 2.7 is the peer review score, Genel and
14 Pescatello are the reviewers.

15 DR. GENEL: Well this is a very strongly
16 positively reviewed grant from a postdoc fellow working in
17 Ren Xu's lab. Basically, involves the role of caspase in
18 differentiating cell differentiation in human embryonic
19 stem cells. It's highly reviewed.

20 I think it's an appropriate seed grant. I
21 would say it ought to be funded.

22 DR. KIESSLING: Dr. Pescatello had to leave
23 for a conference call, but he did leave his review and
24 indicated that he was interested in putting it into the

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 yes column, as well. Into the yes column, yes.

2 MS. TOWNSHEND: The recommendation of the
3 team is to move this grant to the yes category. Is that
4 the consensus of the group? This grant is moved to the
5 yes category.

6 Next grant for consideration is 10SCA24, Li
7 Yang, Novel Roles of Long Non-Coding RNAs in Human
8 Embryonic Stem Cells, UCHC is the institution, 2.7 is the
9 peer review score, Genel and Kiessling are the reviewers.

10 DR. GENEL: Well I'll defer, or are you
11 deferring?

12 DR. KIESSLING: Let me just find my notes.

13 DR. GENEL: Well I'll have it up here in a
14 minute. I thought I had it up here.

15 DR. WALLACK: Point of order, please?

16 CHAIRPERSON GALVIN: Yes?

17 DR. WALLACK: Point of order. On SCA21,
18 Wang's proposal, that we just voted into the yes category?

19 CHAIRPERSON GALVIN: Yes.

20 DR. WALLACK: Can someone explain to me the
21 first sentence, this seed grant application is proposed by
22 Dr. Dong?

23 DR. GENEL: That was a typo.

24 DR. WALLACK: Was that a typo? Okay.

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 DR. GENEL: That's what I assumed.

2 DR. WALLACK: Okay. Okay, thank you.

3 DR. GENEL: Well the proposal by Dr. Yang
4 is from an extraordinarily well-trained postdoc, who did a
5 postdoc first in Sid Altman's lab at Yale and then moved
6 on to the immunology group at UConn. The proposal is to
7 look at the role of non-coding long RNAs in stem cell
8 maturation and development. It got very, very strong
9 review, and I think he's an ideal sort of investigator, a
10 postdoc, with a well-established background.

11 I would say this ought to be in the funding
12 category. Ann, do you agree?

13 DR. KIESSLING: Right. Yes. This is
14 essentially an ideal seed grant. I'm looking now, but I
15 think this person is a postdoc.

16 DR. GENEL: Yes.

17 DR. KIESSLING: So this is actually a
18 postdoc application from a lab that has a good background
19 in looking at interfering RNAs, and they've now
20 established themselves in the last two or three years with
21 another grant application in human embryonic stem cells,
22 so, yes, I actually thought this was a really obvious one
23 for us to fund.

24 MS. TOWNSHEND: The recommendation of the

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 team is to move this to the yes category. Is that the
2 consensus of the group? This grant is moved to the yes
3 category.

4 Next grant for consideration, 10SCA06,
5 Brian J. Aneskievich, Nuclear Receptor Control of the
6 Human Epidermal Stem Cells, UConn is the institution, 2.5
7 is the peer review score, Dees and Pescatello are the
8 reviewers.

9 DR. DEES: I guess that means I'm on. This
10 study is designed to quicken the rate at which skin cells
11 can be reproduced, so they can aid in wound repair. The
12 specific names are determined to what stage to the
13 differentiation factors that increase cell replication or
14 work and how it works.

15 This is from a more senior investigator.
16 He's an Associate Professor. The reviewers think this
17 work is important and is novel and can be improved.
18 Perhaps by looking at genetic means confirm these results,
19 but they were pretty enthusiastic on the whole.

20 For me, I thought that the link to human
21 health and therapy is pretty clear, and that makes the
22 project pretty attractive, so I was inclined to say yes.

23 MS. HORN: And Dr. Pescatello did leave his
24 recommendation, which was yes.

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 MS. TOWNSHEND: The recommendation of the
2 team is to move this grant to the yes category. Is that
3 the consensus of the group? This grant is moved to the
4 yes category.

5 Next grant for consideration is 10SCA29,
6 Radmila Filipovic, Generation of Layer V Pyramidal Neurons
7 from Human Embryonic Stem Cells, UConn is the institution,
8 2.3 is the peer review score, Kiessling and Mandelkern.
9 Mr. Mandelkern has left the room.

10 DR. KIESSLING: Do you want me to go ahead?

11 MS. TOWNSHEND: Go ahead.

12 DR. KIESSLING: Yeah. This was one of the
13 best grants in my stack. This is from an investigator,
14 who has kind of an unusual appointment I think in the
15 laboratory that she's in, and this would be her first
16 independently funded grant.

17 She has been at UConn for awhile, I'm
18 looking now for her CV, but she took her Ph.D. from Serbia
19 while she was at UConn, so I'm not too sure exactly how
20 that worked, then she was a postdoc, and now she's a
21 research associate in this lab.

22 She's developed a system for
23 differentiating what she calls layer V neurons from human
24 embryonic stem cells. According to the letter of support,

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 she developed that technology in the lab, and now she's
2 using that technology to study whether or not these can
3 actually integrate into a rat brain.

4 Now I looked in this application for some
5 kind of ESCRO review. I didn't see it, so this is a hot
6 topic ESCRO issue, but it's really good science, and it's
7 from an investigator who has actually spent some time
8 working in this, and it's in a good laboratory, so I
9 recommend that this be funded. I would like to put this
10 in the yes category.

11 MS. TOWNSHEND: We'll have to come back to
12 this once we hear from Mr. Mandelkern.

13 Next grant consideration is 10SCA05,
14 XinQuan Ge, The Role of Dormant Replication Origins in
15 Ensuring Genome Integrity in Human Embryonic Stem Cells,
16 Yale University is the institution, 2.2 is the peer review
17 score, and the review team is Dees and Hiskes.

18 DR. DEES: So this grant is concerned
19 mostly with the mechanisms by which stem cells work. DNA
20 begins replications at many sites, most of which are
21 ordinarily dormant, but some will become active when
22 problems occur to ensure that replication can occur
23 accurately, so studying these dormant sites they think
24 helps us to understand how the genetic integrity is

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 maintained.

2 So the specific aims here are to look at
3 where replication starts and how dormant sites are used in
4 stem cells and pluripotent cells, induced pluripotent
5 cells in neural stem cells and blood stem cells, second,
6 to determine the importance of these dormant sites for
7 stability and, third, to determine what is needed for the
8 dormant sites to become active.

9 So the peer reviewers are impressed with
10 the experimental design and with the researcher. The only
11 worry is that perhaps that deadly word, it might be too
12 ambitious, and practical I guess is the word we should be
13 using.

14 From my point of view, the connections to
15 therapies here is pretty remote, but this seems like
16 pretty fundamental research that's going to help us
17 understand a lot about how stem cells can be used and how
18 they can be used reliably, so my conclusion was a yes.

19 Comments I got from Dr. Hiskes was this
20 project proposes to study DNA replication in human stem
21 cells, investigating the role of dormant replication. The
22 reviewers regard the proposed project to study an
23 important and understudied phenomenon.

24 They described the project as innovative

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 and their experiments as well-designed, logical and
2 feasible. They're extreme enthusiastic, describing the
3 project as groundbreaking, so the science is of high
4 quality, and there are no other kinds of concerns, so she
5 also voted yes.

6 MS. TOWNSHEND: The recommendation of the
7 group is to move this, or the team, is to move this grant
8 to the yes category. Is that the consensus of the group?
9 This grant is moved to the yes category.

10 Let's go back to 10SCA29 and hear from the
11 other half of that team that was considering that grant,
12 Mr. Mandelkern.

13 DR. KIESSLING: Bob, I recommended that it
14 go into the yes category.

15 MR. MANDELKERN: And I discussed this, and
16 we both enthusiastically had agreed that it should go into
17 the yes category.

18 MS. TOWNSHEND: The recommendation of that
19 team is to place grant 10SCA29 into the yes category. Is
20 that the consensus of the group? This grant is placed in
21 the yes category.

22 And, finally, the last one in the seed
23 grants, 10SCA35, the proposal comes from Lee, Maturation
24 of Human Embryonic Stem Cell-Derived Cardiomyocytes In

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 Vitro Using 3D Engineered Tissue Model System, Yale
2 University is the institution, 2.1 is the peer review
3 score, and the reviewers are Goldhamer and Hiskes.

4 DR. GOLDHAMER: Okay, so, this is a very
5 strong application from a postdoc in Laura Niklason's lab,
6 and the PI of the grant will use 75 percent effort on this
7 grant.

8 So this is a person, who is going to study
9 cardiac muscle differentiation in vitro, and one of the --
10 although embryonic stem cells tend to like to
11 differentiate into cardiac muscle, it is immature in
12 nature when produced under normal conditions, and, so,
13 they want to try to use mechanical methods, mechanical
14 stretching methods that cardiac muscle during development
15 usually is imposed on cardiac muscle during development to
16 try to elicit this maturation process, with the idea being
17 that the cardiac muscle has to be more mature in order to
18 be used therapeutically.

19 So this was considered to be an innovative,
20 exciting grant, with high significance. The applicant has
21 great training for this. The applicant received a Ph.D.
22 in biomedical engineering from Columbia and also worked
23 with the top cardiac muscle researcher at Hartford, Kim
24 Chen(phonetic), for her postdoc, so she's really well-

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 suited for this project, it's timely, and it was overall a
2 very strong proposal, so I had voted yes, and Ann Hiskes
3 concurred on that.

4 MS. TOWNSHEND: The recommendation from the
5 team is to place this grant in the yes category. Is that
6 the consensus of the group? This grant is placed in the
7 yes category, just in time for lunch.

8 It is now just three minutes before the
9 hour. Could you tell I was in radio once? We're going to
10 take a 45-minute break for lunch, and we will be back here
11 at 12:45. Thank you so much.

12 By the way, we will pick up with the
13 established investigator grants after lunch.

14 (Lunch recess)

15 MS. TOWNSHEND: We are going to begin the
16 next portion of our meeting, and we're going to start with
17 the established investigator grants.

18 Again, this is ranked by peer review score,
19 and we will begin with number 10SCB32, Hemchandra
20 Shertukde, Near Infrared Imaging Using State of the Art
21 Cameras and Wavelet Transform Tracker for Embryonic Stem
22 Cell Identification, University of Hartford is the
23 institution, the peer review score is 8.0, and this would
24 be Goldhamer and Mandelkern.

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 MS. HORN: And there's proprietary
2 information marked in this grant.

3 MR. MANDELKERN: I would just make one
4 comment about this grant, which I would recommend for no,
5 but this investigator is very much interested in working
6 in embryonic stem cells, and she put in two grant
7 proposals this time and last year, also, and it is the
8 only one we get from the University of Hartford, so I
9 think, in some way, if it's possible, the committee should
10 recognize her enthusiasm, her interest, and ask her to
11 raise her standards a little bit.

12 MS. TOWNSHEND: Second reviewer?

13 DR. GOLDHAMER: I concur with the no. It's
14 not a competitive grant.

15 MS. TOWNSHEND: The recommendation is that
16 this grant be placed in the no category. Is that the
17 consensus of the group? This grant is placed in the no
18 category.

19 Next grant for consideration is 10SCB27,
20 Anthony van den Pol, Stem Cells in Treatment of Human
21 Brain Cancer, Yale University, 7.0 is the peer review
22 score, Hiskes and Mandelkern.

23 MR. MANDELKERN: I discussed this with Dr.
24 Hiskes before she left for somewhere, I don't even

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 remember where, and we both agreed this was a grant that
2 was not worth funding. It didn't have the scientific
3 content, and we both agreed to place it in the no
4 category.

5 MS. TOWNSHEND: The recommendation of the
6 team is that this grant be placed in the no category. Is
7 that the consensus of the group? This grant is placed in
8 the no category.

9 Next grant for consideration is 10SCB14,
10 Hector Leonardo Aguila, Characterization and Isolation of
11 Stem Cell Intermediates from Human Pluripotent Stem Cells
12 for Efficient Regenerative Therapies, UCHC is the
13 institution, 5.5 is the peer review score, Dees and
14 Pescatello.

15 DR. DEES: Dr. Aguila -- the studies will
16 try to improve the differentiation of stem cells, so that
17 they can be used in therapies. Its specific aims are to
18 improve the methods of differentiating cells in different
19 intermediaries and the supporting materials for each of
20 those lines to identify and characterize the cell markers
21 to verify the differentiation and to graft these into
22 animals to assess for transplant potentials.

23 The reviewers think much of the project is
24 ill defined, and, so, its potential impact is really

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 unknown. I would argue that a kind of key working
2 hypothesis, that intermediate progenitors are really
3 necessary, is -- I mean I can't see how you could possibly
4 prove that by any kind of experiment. It seems like it's
5 too broad, but my conclusion would be no.

6 MS. HORN: And Dr. Pescatello is still on
7 his conference call, and I have no feedback on this from
8 him.

9 DR. WALLACK: If there's a recommendation
10 of no and there's a consensus of no, I mean why can't it
11 go through as no?

12 MS. HORN: I was just commenting. It can
13 go through as no.

14 DR. WALLACK: I would recommend no.

15 MS. HORN: Warren?

16 MR. WOLLSCHLAGER: If the secondary comes
17 up with a maybe recommendation, that automatically puts it
18 into the maybe category.

19 MS. TOWNSHEND: We can hold off and
20 consider the next grant. We can come back to it.

21 Our next grant for consideration is
22 10SCB13, Zhiwei Hu, Targeting Cancer Stem Cells for Novel
23 Ovarian Cancer Therapies, Yale University is the
24 institution, 5.3 is the peer review score, this is Dees

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 and Fishbone.

2 DR. FISHBONE: The investigator wants to
3 explore the use of a novel anti-tumor therapy in ovarian
4 cancer, namely, a photo-activated antibody to tissue
5 factor, known as TF. The weaknesses are numerous.
6 Nowhere does the applicant state that TF is expressed on
7 CD 133 cells, which are the cancer stem cells.

8 Preliminary data is from a single ovarian
9 cancer line of unknown origin, does not actually show that
10 cancer stem cell causes cancer in mice. Stem cell-
11 specific focus of application is dilute. I guess that
12 means not very good.

13 The system has been -- he's using the same
14 targeted immunotherapy for lung cancer and breast cancer,
15 and they're saying the impact of this study is likely to
16 be low, as the only novelty is that he's using in another
17 organ system.

18 I could go on, but I think that's probably
19 enough weaknesses.

20 DR. DEES: Yeah. I don't have anything
21 really to add to that. The reviewers didn't really see
22 that there was much new in this, except we're doing the
23 same thing we've done to a new organ system, so no.

24 MS. TOWNSHEND: The recommendation of the

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 team is to put this in the no category. Is that the
2 consensus of the group? This grant will be placed in the
3 no category.

4 Next grant for consideration is 10SCB34,
5 Mark G. Carter, Biological Relevance and Functional
6 Consequences of Heterogeneous Expression Patterns in hES
7 Cells, UConn is the institution, 5.3 is the peer review
8 score, this would be Hart and Wallack.

9 DR. WALLACK: Ron, if you want me to start,
10 I'll start.

11 DR. DEES: I have it as on my list.

12 DR. WALLACK: I'll start.

13 MS. TOWNSHEND: Dees and Wallack. Sorry.

14 DR. WALLACK: What did I say, Mark? No.
15 Anyway, to go on, so my feeling about the grant is I'm not
16 sure that this grant really advances stem cell science
17 much beyond where this investigator has already gone, or
18 others have also similarly gone.

19 Secondly, I'm not sure of the relevancy of
20 the application, and the applicant, I believe, doesn't
21 clearly indicate how the results will be achieved. The
22 PRs point out that the grant is, in fact, highly dependent
23 on the use of the postdocs.

24 I'm not sure, bottom line, of the overall

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 value of the proposal, and I would recommend not funding.

2 DR. DEES: I don't have much to add to
3 that. The peer reviewers didn't really think the work is
4 -- it wasn't clear that it was that important, and they
5 were really actually worried whether this lab could really
6 perform the work they're proposing and had some worries
7 about some of the budget items, but that's not that
8 important, so no, as well.

9 MS. TOWNSHEND: The recommendation of the
10 team is to put this grant in the no category. Is that the
11 consensus of the group? This grant is placed in the no
12 category.

13 Next grant for consideration is 10SCB04,
14 John D. Elsworth, Biochemical and Morphological
15 Characterization of Candidates for Cell-Based Therapy of
16 Parkinson's Disease, Yale University is the institution,
17 5.0 is the peer review score, and this is Arinzeh and
18 Hiskes.

19 DR. ARINZEH: Okay. This proposal is
20 looking at the use of embryonic stem cells, neural stem
21 cells and IPS at several stages of development towards
22 dopamine forming neurons for treatment of Parkinson's
23 Disease.

24 Yeah, so, this proposal actually is with

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 collaborators currently in California at CIRM, so a
2 portion of this project is being funded in California, but
3 I guess, due to their funding restrictions at CIRM, they
4 are not able to support Connecticut investigators and I
5 guess that arm of the project, so they are looking for
6 funding here to support that arm of the project.

7 With that said, so they did receive support
8 from California for some of this, however, the reviewers
9 thought, at least this arm in Connecticut, it's not very
10 good. There are several weaknesses in looking at the
11 various cell populations that they're proposing. They're
12 just poorly defined.

13 There really is not a whole lot described
14 about the various populations that they plan to use. The
15 proposal, itself, is not written well. The justification
16 for certain experimental plans is not laid out clearly, so
17 there are just several flaws here with this proposal, so
18 the recommendation would be not to fund. Hiskes also had
19 the same recommendation.

20 MS. TOWNSHEND: The recommendation from the
21 team is that this grant would go into the no category. Is
22 that the consensus of the group? That grant is -- yes,
23 sir?

24 DR. FISHBONE: Could I ask a question?

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 MS. TOWNSHEND: Yes.

2 DR. FISHBONE: I'm not quite sure how this
3 all integrates with the grant that we funded for Dr.
4 Redmond in previous years. They're obviously working in
5 collaboration. Do we know if this has any impact on the
6 grant that we funded for Dr. Redmond?

7 MS. TOWNSHEND: I don't know.

8 DR. FISHBONE: I'm wondering if the
9 reviewers --

10 DR. ARINZEH: The reviewers didn't mention
11 any of that. They have Redmond as a collaborator, but
12 they didn't talk.

13 DR. WALLACK: My sense, also, is that this
14 was part of the same island part of it, but that it was an
15 additional component that would not adversely affect
16 Redmond's grant at all.

17 MS. TOWNSHEND: Is it the consensus of the
18 group, then, that this be placed in the no category? This
19 grant is placed in the no category.

20 Next grant for consideration, 10SCB31,
21 Marcus Bosenberg, The Role of miRNAs in Melanoma Cancer,
22 Yale University, 5.0 is the peer review score, this would
23 be Goldhamer and Hiskes.

24 DR. GOLDHAMER: Okay, so, this work kind of

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 builds on the investigator's prior discoveries, or
2 accomplishments of being able to purify single melanoma
3 cancer stem cells in mouse models, and, apparently, he can
4 do that to homogeneity, which makes this project doable,
5 so what he would like to do is to determine the role of
6 micro RNAs in the establishment differentiation and
7 function of cancer stem cells.

8 So the reviewers considered the
9 qualifications of the PI and the innovative aspects of
10 this proposal to be clear strengths, however, they had
11 considerable reservations, which then dictated the score
12 of 5.0, and the reservations were that the reviewers, and
13 I agree, considered the grant to be exploratory in nature,
14 and there was no preliminary data provided that micro RNAs
15 are involved in this particular biological process, so
16 it's a similar concern as some other grants that we've
17 had, where everything is basically contingent on aim one,
18 and, without positive data in aim one, the other aims
19 won't be doable.

20 So the reviewers considered this to be, I'm
21 paraphrasing, but to be premature for this type of a
22 grant, based on the lack of preliminary data, so I agree
23 with that assessment, and I had put this in the no
24 category, and Ann Hiskes had agreed with that and placed

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 it in no, as well.

2 MS. TOWNSHEND: The recommendation of the
3 team is to place this grant in the no category. Is that
4 the consensus of the group? That grant is in the no
5 category.

6 Next grant, 10SCB11, Erica Herzog,
7 Cigarette Smoke, Anti-viral Immunity or Vial Immunity?
8 Viral? Thank you. And Lung Epithelial Stem Cells, Yale
9 University is the institution, 4.7 is the peer review
10 score, Fishbone and Goldhamer.

11 DR. FISHBONE: The proposed studies have
12 been designed to experimentally address the contribution
13 of cigarette smoke and anti-viral immune responsiveness to
14 the viability of epithelial stem cells.

15 The strengths are that the investigator's
16 translational relevance, use of both animal and human
17 models and the preliminary data, so it has a lot of
18 strengths.

19 The concerns are potential confounding
20 components of the animal model and regulatory -- that can
21 be experimentally dissected. I don't quite understand,
22 but it sounds they're not happy with the animal model.

23 And they say the approach could be enhanced
24 by further pursuit of mechanics that can serve as a

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 roadmap to restoration of stem cells in COPD patients, so
2 I don't quite see any connection to what we're -- this is
3 obviously an important area, but there's nothing that I
4 see about embryonic stem cells or even induced pluripotent
5 cells that would make it come into our category of
6 funding.

7 DR. GOLDHAMER: Yeah, so, just a couple of
8 comments. So this cell type that they're studying in the
9 lung apparently has certain stem cell-like properties,
10 which is why I think it was submitted.

11 The reviews were okay. They weren't
12 terrific. There was some criticisms, but they were
13 overall fairly positive, and it wound up at a score of
14 4.7, so I think that's kind of an, from my reading of the
15 reviews and looking at the grant, it seems like an
16 accurate reflection of the reviewer's opinion, so, at that
17 score, with no mitigating circumstances, I had put that in
18 the no category.

19 MS. TOWNSHEND: The recommendation of team
20 is to place this grant in the no category. Is that the
21 consensus of the group? This grant is placed in the no
22 category.

23 Next grant for consideration, 10SCB09,
24 Yingqun Huang, Role of Pluripotency Factors in a

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 Subpopulation of Stem Cell-like Cells in Ovarian Cancer,
2 Yale University is the Institution, 4.6 is the peer review
3 score, Fishbone and Goldhamer.

4 DR. GOLDHAMER: Do you want me to start
5 with this one?

6 DR. FISHBONE: Doesn't matter.

7 DR. GOLDHAMER: Okay, so, this is a grant
8 that looks at two pluripotent seed genes, Lin28 and OCT-4
9 in epithelial ovarian cancer, or EOC. They're interested
10 in understanding the roles of these two pluripotency
11 factors in cancer stem cells.

12 The problem is that they haven't shown that
13 Lin28 and OCT-4 expression actually identify cancer stem
14 cells, and, so, the reviewers were very concerned that,
15 you know, that this really wasn't a stem cell grant.

16 They said it's a very good cancer grant,
17 but there was no indication that it was a stem cell grant,
18 and, on that basis, I have to agree with that
19 recommendation, that it was a good and interesting grant,
20 and there's evidence that Lin28 and OCT-4 are important in
21 this system, but it's a cancer grant, not a stem cell
22 grant until proven otherwise, so, because of that, I
23 agreed with the reviewers and placed this in the no
24 category.

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 DR. FISHBONE: I would agree with that
2 completely.

3 MS. TOWNSHEND: The recommendation is to
4 place this grant in the no category. Is that the
5 consensus of the group? This grant is placed in the no
6 category.

7 Next grant is 10SCB15, Tian Chi,
8 Transgenerational Epigenetic Memory in Mouse ES Cells,
9 Yale University is the institution, 4.6 is the peer review
10 score, Fishbone and Goldhamer.

11 DR. GOLDHAMER: Looks like it's your turn,
12 Gerry.

13 DR. FISHBONE: These studies focus on the
14 molecular parameters of epigenetic memory with emphasis on
15 the mechanisms that mediate epimutations with the
16 objective of providing a basis to develop mechanisms to
17 repair epigenetic mutations, so, basically, they're saying
18 that you can have mutations in the epigenetic aspects of
19 disease, and they feel that epigenetic memory is an
20 important part of it.

21 The strength is that they're highly
22 qualified combining in vivo and in vitro good preliminary
23 data. The concern is that they are not discussing DNA
24 methylation, which is an important epigenetic factor, that

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 maybe that makes the project more realistic in its scope.

2 It is unclear whether this phenomenon is
3 specific to the locus, or transgene, or the human
4 embryonic stem cell state. They gave it a 4.6, which
5 indicates that they didn't feel this was, you know, should
6 be highly rated, and I would recommend it for non-
7 approval.

8 DR. GOLDHAMER: I agree with that.

9 MS. TOWNSHEND: The recommendation of the
10 team is to move this grant into the no category. Is that
11 the consensus of the group? This grant is moved to the no
12 category.

13 Next grant for consideration is 10SCB20,
14 Dr. Choudhary, Identification and Characterization of
15 Potential Human Embryonic Stem Cell Derived Mesenchymal
16 Progenitors for Differentiation in Trabecular Meshwork-
17 like Cells, UCHC is the institution, 4.6 is the peer
18 review score, Hart and Mandelkern.

19 DR. HART: Dr. Choudhary is an Assistant
20 Professor in the Department of Surgery at UCHC. His
21 project is to develop differentiation protocols that
22 generate precursors of the trabecular meshwork-like cells
23 for treating various eye diseases.

24 The project follows on the heels of an

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 earlier stem cell grant, and I think that the main
2 criticism of the reviewers and my criticism are tightly
3 linked, that there were no publications from the prior
4 seed grant, and the reviewers point out that there are no
5 data to support that cells express combinations and
6 markers that are basically central to the entire project
7 are actually expressed in this particular cell type.

8 I really felt as though there was a
9 fundamental shortcoming in the productivity and a somewhat
10 serious flaw in the science, so I vote no.

11 MR. MANDELKERN: This is an interesting
12 grant, because it deals with a problem that is widespread
13 in the community, inter-ocular pressure and leading to
14 glaucoma problems, and it does one thing that we were
15 looking for.

16 It builds upon a seed grant that was
17 completed, however, the peer reviewers say that there's
18 not enough experience, even with the seed grant
19 completion, does not appear to have much experience with
20 pluripotent differentiation, as their approaches seem
21 naive in the field, therefore, we regretfully have to
22 agree and put it in the no category.

23 MS. TOWNSHEND: The recommendation from the
24 team is to place this grant in the no category. Is that

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 the consensus of the group? This grant is moved to the no
2 category.

3 Next grant for consideration, 10SCB28,
4 Weimin Zhong, Mechanisms for Balancing Stem Cell Self-
5 Renewal and Differentiation During Human Neurogenesis,
6 Yale University is the institution, 4.6 is the peer review
7 score, Arinzeh and Wallack.

8 DR. WALLACK: This is an extension of
9 previous work, which the researchers have been involved
10 with. It, however, may not be very novel, from what I can
11 tell. It appears as though the grant is structured in a
12 way that there will be a great utilization of the PI's
13 postdocs.

14 Somehow or other, it gives me the feel of
15 maybe it should have been a seed grant. The value is
16 unclear to me, and I would vote no on this one.

17 DR. ARINZEH: Just to add a little bit more
18 about the weakness of the project, is that, well, the PI
19 has a lot of experience in specifically these proteins,
20 the num(phonetic) proteins, and, so, he's basically trying
21 to extend some of his work that he's been doing for about
22 10 years with these proteins, now going into the embryonic
23 stem cell area.

24 And, so, I think the weakness the reviewers

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 were stressing a little bit was that they, you know, found
2 that he had a limited expertise in embryonic stem cells,
3 and he's just trying to extend his current focus area into
4 that field, so my vote is no, as well.

5 MS. TOWNSHEND: The recommendation of the
6 team is to move this grant into the no category. Is that
7 the consensus of the group? That grant is moved to the no
8 category.

9 Next grant for consideration is 10SCB10,
10 Urs Boelsterli, Stem Cell Approaches for Defining Patient-
11 specific Predisposition to Idiosyncratic Drug-induced
12 Liver Injury, UConn is the institution, 4.5 is the peer
13 review score, and this would be Genel and Kiessling.

14 DR. KIESSLING: This is an application from
15 a new recruit, a new full professor at UConn, who is
16 heading up the toxicology division, I believe, and this
17 person has come from Europe somewhere.

18 The biggest problem with this application,
19 which the peer reviewers picked up on and which I agree
20 with, is that they're looking to use hepatocytes derived
21 from stem cells to study liver injury.

22 The problem is nobody has really been able
23 to derive reliably hepatocytes from stem cells, and these
24 investigators haven't shown that they can do that either.

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 The efficiency is really low. How the hepatocyte-type
2 stem cells are is not clear, so this is very premature
3 follow-up for cell lines that they're not even sure they
4 can get.

5 The peer reviewers pointed out that this
6 would be a great application for seed grant for this new
7 faculty person, but, as it stands now, there's just
8 everything depends on being able to do something that
9 nobody has reported being able to do, so I'm afraid that
10 this very nice application really should not get funded by
11 this group.

12 DR. GENEL: I agree.

13 MS. TOWNSHEND: The recommendation of the
14 team is that this grant be placed in the no category. Is
15 that the consensus of the group? This grant is placed in
16 the no category.

17 Next grant up for consideration is 10SCB18,
18 Tai-Hsi Fan, Developing a Microscale Artificial Stem Cell
19 Niche, UConn is the institution, 4.3 is the peer review
20 score, Hart and Latham.

21 DR. LATHAM: This project wants to develop,
22 further develop a microchip that allows you to control
23 different conditions in the culturing of mouse, human and
24 IPS cells, particularly to direct their differentiation on

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 the surface of this chip down neuronal lineages.

2 The reviewers don't have any problem with
3 the core science of the review. It's nice that this was
4 developed originally with some seed grant money from us
5 and they're now following up, moving from having
6 successfully adapted this chip to control the development
7 of mouse embryonic stem cells toward human.

8 The reviewers think there won't be any
9 problem with moving it in that direction. One thing I
10 like about this proposal is something we haven't talked
11 much about at this committee, but I actually see the
12 potential for intellectual property rights flowing from
13 this, because if they develop a good chip that really
14 allows you to control neuronal differentiation in that
15 chip by controlling more features than competitive
16 biochips can control, that could potentially sell to
17 researchers around the world, and that could give
18 Connecticut a little bit of ROI.

19 On the other hand, the difficulty is partly
20 that the two lead researchers are going to put a very
21 small amount of time. They're down for .3 of a summer
22 month each in year one and again in year two.

23 It's also not very specific to human
24 embryonic stem cells. This is development of a chip

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 that's designed to be for murine models and for human
2 cells and for IPS cells, so it's not clear that it's a
3 high priority project for us to fund if we're trying to
4 focus specifically on human embryonic stem cells.

5 While I think it looks like a really nice,
6 neat project, and it's already been proven pretty well,
7 and they've done well with the seed funding that they had
8 before, and it's nice, also, that it's a joint venture
9 with engineers, I'm afraid it's not a top priority for us,
10 and I also don't see the time being spent on it by the
11 PIs.

12 DR. HART: Well I actually was hoping that
13 we should spend just a little bit of time on this, because
14 this might be one of those unusual ones. The review,
15 itself, really does not sound as bad as a 4.3 score in
16 general.

17 I think that you reflected that correctly
18 in your statement. Would you agree with that statement?

19 DR. LATHAM: Yes.

20 DR. HART: Okay. The biggest flaw
21 scientifically, I thought, and what the reviewers pointed
22 out was that, let's see, they didn't talk much about extra
23 cellular matrix, which makes a lot of sense, but that, to
24 me, is the biggest problem they came up with.

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 The major criticisms of the grant were more
2 about grantsmanship, and I think that for a junior faculty
3 member, we might give them a little bit of a free ride on
4 that one.

5 This particular person is the Assistant
6 Professor in the Department of Mechanical Engineering, has
7 had one publication from seed project in the past, and if
8 you look at current supports, is at or just after the end
9 of several major projects, including NSF, this
10 organization and others.

11 And, so, actually, you know, I'd almost
12 like to go as far as to say yes for this one, but I don't
13 think that's quite right and fair to the other projects,
14 but I would like to make sure it's in the maybe
15 population.

16 Oh, and, lastly, among our selection
17 criteria there is AF benefits, including financial
18 benefits to the State of Connecticut, and, so, for IP that
19 would make sense.

20 DR. LATHAM: Yeah. The IP aspect of this
21 really leapt out at me.

22 MS. TOWNSHEND: It sounds like the
23 recommendation from this team is to place this grant in
24 the maybe category?

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 DR. LATHAM: Yes.

2 MS. TOWNSHEND: Is that the consensus of
3 the group?

4 COURT REPORTER: One moment, please.

5 MS. TOWNSHEND: This grant is placed in the
6 maybe category.

7 Next grant is 10SCB24, Dr. Mina Mina,
8 Derivation of Neural Crest Cells Capable of Forming
9 Skeletal and Dental Tissue of the Craniofacial Region from
10 Human Embryonic Stem Cells, UCHC is the institution, 4.3
11 is the peer review score, Dees and Pescatello, and since
12 Dr. Pescatello is not yet back, we will hear from Dr.
13 Dees, and then we will move on.

14 DR. DEES: Do you think it's worth hearing
15 from me now, or should we just wait for Dr. Pescatello?

16 MS. TOWNSHEND: Go ahead.

17 DR. DEES: Okay. The studies that are
18 intended here are intended to direct stem cells into
19 neural crest cells and into cranial facial bone
20 structures, so their specific aims are to characterize the
21 path by which stem cells, embryonic stem cells become
22 neural crest-like cells and then characterize the cells
23 that they've been formed, and, second, to show that these
24 in vitro cells have the same properties as neural crest

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 cells in vivo in animals by transplanting them into chick
2 embryos.

3 So the reviewers found these experiments
4 really well-designed and novel in really kind of an
5 explored area. They really worry about the differences in
6 the mouse models that they're using as the basis for the
7 experiments in the human ones and about really the
8 practical problems of using chicks, which is somewhat
9 unusual, especially since the environment of chicks,
10 embryo chicks is really very different from humans.

11 In some ways, this is a project worth
12 funding, but I think the science is weak enough that I'll
13 lean towards a no.

14 MS. TOWNSHEND: We'll hold off with
15 categorizing this until Dr. Pescatello returns.

16 Next grant for consideration is 10SCB33,
17 Alex Lichtler, Gene Targeting of Mutations in iPS cells
18 from Osteogenesis Imperfecta Patients using Zn Finger
19 Nucleases, UCHC is the institution, 4.3 is the peer review
20 score, Wallack and Arinzeh.

21 DR. ARINZEH: This grant proposal is
22 looking at the use of zinc finger nuclease-directed
23 homologous recombination as a method to correct genetic
24 defects in iPS cells derived from OI patients, so

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 osteogenesis imperfecta patients, so the idea is to
2 correct, then, this collagen mutation, collagen type one.

3 So this would be an interesting, very
4 interesting proposal. The reviewers commented on the fact
5 that this would be a very nice proposal as a seed grant,
6 but as an established investigator grant, there's a lot of
7 preliminary data that's lacking to establish that they can
8 actually pull this off.

9 They would be getting the vectors from
10 Sigma, and, basically, Sigma would be designing these
11 vectors, and, so, there's concern there by the reviewers,
12 you know, they should, in theory, already have these
13 vectors produced, so it would have been nice to have shown
14 in the grant proposal.

15 And then the PI also lacks familiarity with
16 the zinc finger system, and, so, there's a concern there,
17 as well, so these were the two major weaknesses they
18 presented, so my vote would be no for this.

19 DR. WALLACK: I would agree, and I would
20 add that the project may also better be suited for another
21 grant source, such as NIH, and I agree with the no vote.

22 MS. TOWNSHEND: The recommendation of the
23 team is to place this grant in the no category. Is that
24 the consensus of the group? This grant is placed in the

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 no category.

2 Paul, we have a couple of grants in
3 established investigator on which you were part of the
4 team, that if you could give your recommendation, and I
5 will give you the numbers, if you're ready.

6 The first one is 10SCB14. That is Hector
7 Leonardo Aguila.

8 DR. PESCATELLO: You already discussed
9 this?

10 MS. TOWNSHEND: We've already discussed
11 this, and the recommendation that came from your partner
12 was no.

13 DR. PESCATELLO: Not to fund.

14 MS. TOWNSHEND: The recommendation on this
15 grant is to place it in the no category. Is that the
16 consensus of the group? This grant is placed in the no
17 category.

18 10SCB24, also, Dr. Pescatello, that would
19 be Dr. Mina Mina. We've heard from Dr. Dees.

20 DR. PESCATELLO: Not to fund.

21 MS. TOWNSHEND: Not to fund.

22 DR. KIESSLING: Is this application a
23 resubmission?

24 MS. TOWNSHEND: I don't know. Does anyone

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 know? Oh, Chelsey is nodding her head.

2 MS. CHELSEY SARNECKY: I believe it is, but
3 I can take a look through the files.

4 MS. TOWNSHEND: The recommendation of the
5 team is that this grant be placed in the no category. Is
6 that the consensus of the group? This grant is placed in
7 the no category.

8 And you're all caught up, except now you're
9 part of one of the next grants, which is 10SCB25, Craig
10 Nelson, Derivation of Human Mesendoderm and Mesectoderm
11 Progenitors for Regenerative Therapy, UConn is the
12 institution, 4.0 is the peer review score, Dees and
13 Pescatello.

14 DR. PESCATELLO: Let me just look at my
15 notes here. So, in this grant, the reviewers had several
16 issues, problems, including the cost. This is also an
17 ambitious project. I had a hard time making sense of the
18 peer review, in that there were some pretty highly
19 recommended components of it, but they had issues with the
20 -- it builds on another grant. I'm sorry. I'm just
21 getting my notes together here. It builds on a previous
22 grant, which is good.

23 It's a high-classed, almost a million
24 dollars, and I guess, in terms of my own consideration of

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 this grant and the cost benefit analysis, which I don't
2 know if we want to talk about now as a group, it seemed
3 like a lot of money, and it was buying a lot of equipment,
4 that the peer reviewers mentioned, also, this equipment
5 didn't already exist and was available on the campus. My
6 colleague?

7 DR. DEES: Yeah. I mean what they're
8 trying to do here is they're developing some techniques
9 for differentiating stem cells into like heart muscle
10 cells, blood and vascular tissue cells and skeletal
11 connected tissues, so, in some ways, it's a nice project,
12 in that it's really essential work for future kinds of
13 therapies, but they did think that a lot of the work here
14 was not, while it was important work, it wasn't
15 particularly unique to this lab, it wasn't something that
16 had to be done here, and that was kind of the baseline,
17 was that they sort of thought not for this amount of
18 money. It's a good project, but not for this amount of
19 money.

20 DR. PESCATELLO: That's a good bottom line.

21 MS. TOWNSHEND: So the recommendation of
22 the team is no?

23 DR. PESCATELLO: No.

24 MS. TOWNSHEND: The recommendation of --

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 yes, sir?

2 DR. WALLACK: So I understand the cost
3 factor, but the reviewers also indicate that it's quite an
4 impressive proposal, with significant amounts of
5 preliminary data to support the experimental plan.

6 They go on and talk about the significance
7 of the project as being quite high, so what I guess I'm
8 wondering about, and we've done this before, maybe we
9 might want to consider putting it in the maybe category
10 and coming back and recommending our own adjustment and
11 this precedent to us doing this, our own adjustment to
12 their budget.

13 So we can discuss this if it becomes a
14 maybe, and that's why, with the peer review's comments, I
15 would suggest that we keep it on the table.

16 MS. TOWNSHEND: We have a maybe, so this
17 would go into the maybe category. Go ahead, Paul. I'm
18 sorry.

19 DR. PESCATELLO: I mean if those are our
20 rules of procedure. I think, too, if you look at the type
21 of equipment that's being purchased under this grant, like
22 the PCR hoods, that's something that must be available. I
23 mean you could commonsensical could say is otherwise
24 available and why we would be funding this, why this

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 specialized pot of money for stem cell research would be
2 funding some very standard equipment.

3 I don't know if it's the highest and best
4 use of that, of our funds.

5 DR. WALLACK: Question?

6 MS. TOWNSHEND: It goes in the maybe
7 category.

8 DR. WALLACK: Okay.

9 DR. DEES: Unless we convince you
10 otherwise. I mean I think there are lots of many, many
11 better grants than this one ahead of us, and there's only
12 a fairly small pool of money for million-dollar grants.

13 DR. PESCATELLO: Yeah. That's the issue.
14 For a million bucks.

15 DR. WALLACK: I think that's a very good
16 point, Richard, and I probably can withdraw my maybe,
17 then.

18 MS. TOWNSHEND: So your maybe is now a no?
19 And the team is recommending no, and is it the consensus
20 of the group that this would be no? This grant is placed
21 in the no category. Next grant for consideration is
22 10SCB26, Craig Nelson, Chromatin Control of Sporadic Gene
23 Expression in Human Embryonic Stem Cells, UConn is the
24 institution, 3.9 is the peer review score, Dees and

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 Latham.

2 CHAIRPERSON GALVIN: How is it that Dr.
3 Nelson's two grants have exactly to the dollar same amount
4 of money? I find that odd.

5 DR. LATHAM: All right. I can go first.
6 This has got a really sort of neat background biological
7 idea, which is that noisy or sporadic gene expression in
8 human embryonic stem cells actually might have a
9 biological purpose, and the idea of this study is to start
10 trying to track down in some specific cases the effects
11 and the reasons for sporadic gene expression.

12 So the aims are to screen for sporadic
13 genes and assess chromatin state of 10 percent of the
14 genome in an undifferentiated human embryonic stem cell
15 and cells exiting pluripotency and initiating
16 differentiation, and then to examine the expression,
17 status and chromatin state of sporadic genes in human
18 embryonic stem cell lines and determine the role of
19 chromatin and controlling sporadic expression.

20 I'm shortening. The peer reviewers of this
21 very much liked the idea and saw some significance in the
22 general background idea, but were disappointed with the
23 clarity and framing of the proposal.

24 They also note that the PI's time -- it's

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 not clear how the PI's time is going to be spent on this,
2 and they also think that there's an awful lot in that
3 first aim that's taking on an awful lot for the limited
4 amount of time that they'll have under the grant.

5 So, basically, the reviewers' overall take
6 seemed to be that there's some really terrific ideas,
7 which were incidentally developed in an earlier seed
8 grant, which did get a publication, but which at least one
9 of the reviewers has said has not proceeded very far, so,
10 with those warnings, basically, they think there's some
11 really great background ideas here, but that the execution
12 is not clearly laid out in the proposal, so I would
13 recommend no.

14 DR. DEES: I largely agree with that. I
15 mean the reviewers really thought -- they used that word
16 ambitious again, by which they mean impractical, so there
17 were really worries about that, and they had a number of
18 problems with what the general applicability of the
19 results would be, even if the whole thing works, even
20 though they think it has some pretty cool ideas in it, so
21 I'd say no, as well.

22 MS. TOWNSHEND: The recommendation of the
23 team is to move this grant to the no category. Is that
24 the consensus? Yes, sir?

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 DR. GENEL: I agree with the
2 categorization, but just to make an observation and a
3 point, is that I think, when we see applications that come
4 through from previous seed grant observations, and I think
5 it's something we ought to take note of, and I've noticed
6 several of them here.

7 If the purpose of seed grants is to provide
8 preliminary data that would provide the basis for
9 substantive larger applications, then I think this is
10 something -- it's a very, very positive sign, but doesn't
11 necessarily mean it has to be funded by Connecticut.

12 The notion would be, if you generate those
13 ideas, those ideas ought to be substance for a grant to
14 other funding agencies, and I would hope that the review
15 that would be available to the investigator of these two
16 grants would be helpful, in terms of how to reframe those
17 for other applications, but, yes, I agree with the no
18 funding. I just wanted an opportunity to make that
19 observation.

20 MS. TOWNSHEND: Thank you for your
21 comments. Anyone else? If we're in agreement, this grant
22 will be moved to the no category. Is that the consensus
23 of the group? This grant is --

24 DR. KIESSLING: Is this also a

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 resubmission?

2 MS. TOWNSHEND: Chelsey, do you know?

3 DR. KIESSLING: Are either one of Dr.
4 Nelson's grants a resubmission?

5 DR. LATHAM: I think the one we just talked
6 about, it may sound like a resubmission, because it's
7 based on a seed that we considered in the past.

8 DR. KIESSLING: Okay, because I think a
9 number of these are resubmissions, and I'm just wondering
10 how many times we're going to have them resubmit.

11 MS. TOWNSHEND: This grant is moved to the
12 no category.

13 DR. GENEL: More relevant, are we
14 consistent when they come up the second and third time?

15 MS. TOWNSHEND: Good point.

16 DR. GENEL: Maybe that's why they come
17 back.

18 MS. TOWNSHEND: The next grant for
19 consideration is 10SCB08, Jonathan Covault is the
20 potential grantee, Investigation of Molecular Adaptations
21 to Alcohol in iPS Cell Derived Neural Cultures from
22 Alcohol Dependant and Control Subjects, UCHC is the
23 institution, 3.8 is the peer review score, Genel and
24 Kiessling.

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 DR. GENEL: Well I'll defer to Ann on the
2 science of this. I mean this is an attempt to -- it's a
3 fishing expedition, basically to try and generate cells
4 from individuals who have substance abuse, or alcohol
5 dependency and those who don't, and to try and define what
6 the specific epigenetic abnormalities are in this, and I
7 think the reviewers point out I think that it's a very
8 interesting and intriguing idea, but they don't have any
9 data to support it.

10 This would have been a perfect seed grant,
11 from my perspective, had it been put in that format, but,
12 as an established investigator grant, I don't think it's
13 competitive.

14 DR. KIESSLING: This was actually a very
15 hard -- I spent a lot of time thinking about this grant,
16 because this is a really difficult area of research.

17 It's very hard to come up with some kind of
18 model to study alcoholism, and the score of 3.8 I think
19 actually reflects one of the opinions of one of the
20 reviewers, who simply doesn't feel that iPS cells are
21 going to be very useful, so one of our peer reviewers we
22 need to keep in mind doesn't think iPS cells as a science
23 is going to be terribly useful.

24 On the other hand, I really agree with what

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 Dr. Genel just said. There's just so -- first of all,
2 this group has quite a bit of money now, so they're going
3 to be able to get some pilot stuff done. This is a well-
4 funded and active mental health group. He's a
5 psychiatrist, an MD, a Ph.D. psychiatrist, and they're
6 studying drug abuse and alcoholism, and I agree.

7 I mean if they had any even one or two iPS
8 lines to put in here, his background data would be much
9 more compelling to fund them, but I think I'm going to
10 have to say no to this one.

11 MS. TOWNSHEND: The recommendation of the
12 team is to move this grant to the no category. Is that
13 the consensus of the group? This grant is moved to the no
14 category.

15 Next up is 10SCB23, Laura B. Grabel,
16 Directing Differentiation of Embryonic Stem Cells to
17 Epiblast, Wesleyan is the institution, 3.8 is the peer
18 review score, Goldhamer and Latham.

19 DR. DEES: Actually, I'm taking this one
20 for Dr. Goldhamer.

21 MS. TOWNSHEND: Okay. Dees and Latham.
22 Thank you.

23 DR. DEES: There's conflict of interest
24 with the collaborators.

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 MS. TOWNSHEND: Got it.

2 DR. DEES: All right, so, the goal of this
3 grant is to understand how stem cells begin to lose their
4 pluripotency by looking at the transition from cells that
5 can produce extra embryonic tissues to epiblast stage, in
6 which the cells can only produce embryonic ones using both
7 mouse and human cells.

8 Specifically, they're aiming to
9 characterize the markers for the epiblast stage and to
10 isolate cells in the epiblast stage and determine their
11 developmental potentials, and, third, to identify the
12 signals that lead to development of the epiblast.

13 This work is really important for basic
14 stem cell biology. Its relevance the therapy is a bit
15 remote, especially since, as some of the reviewers note,
16 the understanding of the particular transition may not be
17 particularly necessary for actual use of therapeutic stem
18 cells.

19 On the whole, the reviewer -- mostly
20 favorable, noting the really long and productive record of
21 the PI and that this grant is really well-written and
22 well-conceived, however, they do think the work is not
23 especially innovative and would not reveal some other
24 things that they think are important to know, so this is

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 one of those ones where in some ways it's a worthy grant.

2 My feeling is that there are a lot more
3 worthier grants to come, and, so, I'm more inclined just
4 to say no at this point.

5 DR. LATHAM: I'm afraid. I mean I have the
6 greatest respect for the PI in this grant, but the virtue
7 of this grant is also its vice, which is that it's really
8 basic biological cell biological research and very far
9 away from the kind of translational priorities that we're
10 supposed to be pursuing, so I'm afraid I would also say
11 no.

12 MS. TOWNSHEND: Discussion? Sir?

13 DR. GENEL: Well I will grant everything
14 that's been said, but I think part of our role is to
15 insure that there's diversity of the funding. I think
16 this is the only one outside of Yale and UConn that is
17 even potentially fundable by an established investigator,
18 so I would not reject this out of hand.

19 I think we ought to put it into a maybe
20 category and then consider it, because I think that's the
21 role of this advisory committee, is, in fact, to make
22 those types of judgments.

23 DR. KIESSLING: I would agree with that.

24 MS. TOWNSHEND: This grant is placed in the

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 maybe category.

2 Next grant for consideration is 10SCB06,
3 Zihai Li, Stem Cell Vaccine Against Cancer, UCHC is the
4 institution, 3.7 is the peer review score, Genel and
5 Kiessling.

6 MS. HORN: And this grant has marked
7 proprietary information in it.

8 DR. KIESSLING: I just ask, actually, if
9 this is a resubmission, but I remember now this was
10 actually a seed grant last year.

11 This is an investigator, who is interested
12 in developing and using stem cells to develop targets
13 against cancer. It's a really intriguing proposal, and
14 they've made some progress on when they were funded
15 before.

16 What they're hoping to do is essentially
17 teach stem cells to target cancer and destroy cancers, and
18 they're doing this by some interesting cell tricks that
19 might work.

20 They have enough background information. My
21 concern about this application is that it's a big budget
22 for what they're trying to do, and I would like to put
23 this in the maybe category and then revisit how much money
24 we've got and see how much of this work we can actually

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 fund, because this is a follow-up to a seed grant.

2 It's a really interesting idea. The
3 reviewers liked it. It's got some problems, because it's
4 not a slam dunk that it's going to work, but if it did
5 work, it would be really, really useful, so I'd like to
6 put this as a maybe.

7 MS. TOWNSHEND: This grant goes in the
8 maybe category. Sir? Did you want to comment? You're
9 the other reviewer, after all.

10 DR. GENEL: Well my notes pretty much
11 mirror what Ann says, except I would be inclined to put it
12 in the no category, in part because of the competition up
13 above.

14 The notes I wrote down is that he already
15 has a four-year grant, apparently, so that this is not --

16 DR. KIESSLING: This is the second --

17 DR. GENEL: -- essential to do this work,
18 and the peer reviewers point out it's high risk, so I
19 would say, well, you know, I think, at some point, we've
20 got to make some tough decisions. I'd move this one over
21 into the no.

22 DR. KIESSLING: So, Mike, is this second to
23 a seed grant, or does he have another four-year grant? I
24 was just actually going to try to pull up his budget page.

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 How much money do they have right now?

2 DR. WALLACK: Ann, I think this was a
3 continuation from a seed, Ann. Seed.

4 DR. KIESSLING: So they don't have another?

5 DR. GENEL: It's a continuation from a
6 seed. My apologies.

7 DR. KIESSLING: Okay.

8 MR. DANIEL WAGNER: This investigator has
9 an established grant, established investigator grant last
10 year.

11 DR. KIESSLING: I'm sorry. Say again, Dan?
12 So it was a seed grant and an established? No.

13 MR. WAGNER: Last year, they received an
14 established investigator award of half a million dollars
15 for -- let me count.

16 DR. WALLACK: Was it the same subject, Dan,
17 because --

18 MR. WAGNER: Similar.

19 DR. KIESSLING: It's similar.

20 MR. WAGNER: Similar, but not the same
21 title. I mean that's with the work they're doing,
22 obviously.

23 DR. GENEL: Well, I'm sorry, I can't find
24 explicitly where I found it, and I stand corrected if I'm

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 wrong.

2 DR. KIESSLING: Well it's a well-funded
3 group.

4 MR. WAGNER: It's a three-year grant.

5 DR. KIESSLING: They've got two NIH grants.

6 DR. GENEL: Page 21. I think it's the --

7 DR. KIESSLING: They had a seed grant from
8 '07 to '09.

9 DR. GENEL: Yeah.

10 DR. KIESSLING: Right.

11 DR. FISHBONE: There is a comment in the
12 review about the preliminary results from a 2006 stem cell
13 research program from us.

14 DR. KIESSLING: Right, so, that was funded
15 from '07 to '09.

16 DR. GENEL: Yeah, and I see, also, an
17 active grant. It says Therapeutic Differentiation of
18 Regulatory T Cells from iPS and hES Cells for Immune
19 Tolerance, DPH. Is that the biochemical? That's the
20 other funding?

21 MR. WOLLSCHLAGER: My understanding, Dan,
22 is it originally started off with a seed grant, then
23 parlayed that into an established investigator grant last
24 year.

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 DR. GENEL: Last year, so we're already --

2 MR. WOLLSCHLAGER: We're into year two of
3 an existing three-year established investigator grant.

4 DR. KIESSLING: Where is that listed, Dan,
5 because if you look on their budget page, they only talk
6 about the seed grant? They've got two NIH grants. I
7 don't see the other. The established investigator funding
8 from us, I can't find it in this application.

9 MS. TOWNSHEND: Did we want to pass on this
10 and move on to other grants?

11 DR. KIESSLING: And look at the budget.
12 Maybe we should.

13 MS. TOWNSHEND: It's already in a maybe
14 category. Did you want to leave it there, Ann?

15 DR. KIESSLING: Yeah, and we'll look at the
16 budget.

17 MS. TOWNSHEND: Okay. Next grant for
18 consideration is 10SCB07, Caroline N. Dealy, Use of the
19 hESC and iPSC-derived Skeletal Progenitors for Mammalian
20 Limb and Digit Regeneration, UCHC is the institution, 3.7
21 is the peer review score, and, again, Genel and Kiessling.

22 MS. HORN: And, again, proprietary
23 information is indicated in this grant.

24 DR. GENEL: This is an interesting

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 application to try and generate cells that would be able
2 to replace excised limbs in an experimental animal model.
3 I can't recall what the model is here. I was looking for
4 it.

5 DR. KIESSLING: It's a rodent.

6 DR. GENEL: A mouse, yeah. It was well-
7 reviewed. If anything, I think the score is a little bit
8 high, if you will. High, in the sense that it's a higher
9 number than the text of the review, which is more
10 enthusiastic. I would put this in the maybe category
11 until we see what we have available.

12 DR. KIESSLING: I actually love this grant,
13 and I would put it in the yes category.

14 DR. GENEL: I won't argue with that.

15 DR. KIESSLING: Partly because this is like
16 I think exactly what part of our mission is. They're
17 using human embryonic stem cells to regenerate limbs, or
18 damaged limbs, or joints, and they've come up with some
19 proprietary information, I mean some IP that could
20 actually, you know, lead to translation in a pretty quick
21 manner.

22 This is a good group. This is absolutely
23 what they're going to do here is going to lead to some
24 answers. They've included both the pros and the cons and

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 what problems they might have in the grant. I was very
2 enthusiastic about this.

3 I don't know why it only got a score of
4 3.7. And the reviewers were enthusiastic about it, too,
5 so I don't understand where the score of 3.7 came from. I
6 would have thought it would have been at least a three.

7 DR. GENEL: I think only because I felt it
8 ought to have a better score that I put it in a maybe
9 category, rather than in the highest category. It's also
10 based on information derived from a seed grant --

11 DR. KIESSLING: A seed grant.

12 DR. GENEL: -- that we funded.

13 DR. KIESSLING: Right.

14 DR. GENEL: Which is another reason I
15 think.

16 DR. KIESSLING: Right.

17 MR. MANDELKERN: I would like to see this
18 put over into the maybe to see the relationship between
19 this grant and the group grant at the same institution
20 with Dr. Row, which we funded in the millions, not one
21 million. And it seems to me that it's --

22 DR. KIESSLING: There might be some
23 overlap?

24 MR. MANDELKERN: -- that it's the same area

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 of investigation, that limb development through the use of
2 stem cells, so if we're funding the same thing with a
3 group and now with an EI, I don't know if that's the best
4 use of our dollars, so I'd like to put this in the maybe
5 to see how it all rolls out.

6 DR. KIESSLING: How it overlaps. That's
7 all right.

8 DR. GENEL: Okay.

9 MS. TOWNSHEND: Any other comment?

10 DR. WALLACK: Comment. I think, I could be
11 wrong, but Dr. Row's grant is probably coming to an end
12 now. Is that right? Or one year from now?

13 DR. KIESSLING: I don't know. Maybe a
14 program can tell us.

15 DR. GOLDHAMER: The grant has ended. The
16 Row grant ended in April.

17 DR. WALLACK: That's what I thought, so I
18 don't know if the consideration that we just placed on the
19 table would be a hindrance to this, and, if anything, I
20 would think that would be an inducement, from my
21 perspective, at least, to go forward, also recognizing the
22 fact that institutionally there's been hopefully a built-
23 in expertise that could aid in the movement forward of
24 this particular research project.

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 I heard some yeses, and I would endorse the
2 yeses and hopefully make a definitive decision about this
3 one at this point.

4 MS. TOWNSHEND: The recommendation of the
5 team is yes, and we do have a maybe from Mr. Mandelkern,
6 so this would go into the maybe category.

7 DR. WALLACK: Unless he withdrew his maybe.

8 MS. TOWNSHEND: Maybe we'll go on to the
9 next grant. Next grant is 10SCB35, Ren-He Xu, Do Various
10 Culture Conditions Matter to Differentiation Ability of
11 Human Embryonic Stem Cells, UCHC is the institution, 3.6
12 is the peer review score, and this would be Hart and
13 Wallack.

14 DR. HART: So this is a proposal from Dr.
15 Xu, who has managed, of course, the main cores to identify
16 differences in at least three major methods of culturing
17 embryonic stem cells and judge them based on both gene
18 expression and proteomics-based assays.

19 The reviewers, again, it's one of these
20 things where the score and the tone of the review doesn't
21 quite match up. I thought the tone of the review sounded
22 a little bit worse than the score in this case.

23 They were very critical of some of the lack
24 of preliminary data and especially that the interpretation

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 of some of the preliminary data, as well.

2 One of them, for example, is he's studying
3 phosphorylation of proteins and does not demonstrate that
4 this has any effect on differentiation capacity, so it's
5 not clear how meaningful some of this interpretation is.

6 Furthermore, there's a question about one
7 of the markers that's chosen for an early hematopoietic
8 cell type not being specific enough and that the
9 percentage of cells that are CD34 positive may not be
10 sufficient to get some of the results they're hoping for.

11 So, you know, overall, you almost hate to
12 take a proposal from such a productive researcher like
13 this and such a helpful researcher and say no to it, but
14 it really sounds like that's what the scientist's review
15 is telling us to do.

16 Lastly, I noticed that in the support
17 section what's listed is essentially 100 percent, three
18 different Connecticut Stem Cell Research Fund programs and
19 no NIH funding, and I think, with a project proposed like
20 this, with a little bit more preliminary data, it's time
21 to go to NIH. Reluctantly, I'm recommending no.

22 DR. WALLACK: I would agree with the no on
23 this particular project, with regret, because I think that
24 what Ron said is absolutely on the mark. This is an

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 excellent researcher, who has contributed tremendously not
2 only to what's going on in the State of Connecticut, but
3 around the nation, and we're all very, very appreciative
4 of that.

5 I'm not sure, however, that this particular
6 project is the kind of project that has to be funded.
7 It's a project that is going to be done mostly by
8 postdocs, and it's the only one that I read that is also
9 going to be worked on by graduate students, as well.

10 If I saw it coming across as a seed grant,
11 I might feel, I would feel entirely different. So, with
12 great reluctance, I have to agree and say no.

13 MS. TOWNSHEND: The recommendation of the
14 team is to place this grant in the no category. Is that
15 the consensus of the group? Hearing no objection, this
16 grant will be moved to the no category.

17 Next grant for consideration -- yes, sir?

18 CHAIRPERSON GALVIN: I'm just going to
19 interject a comment. I know that several of the members
20 have said that, have observed some things about the
21 scoring, and one of the things that you'll notice is that
22 everybody has their own way of scoring things, and some
23 people think that a really good grant is a four and a
24 half, and a superb grant is a 2.6, and if you have two

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 people of the three who think that a good grant is a three
2 and a third person thinks that a good grant is a 4.2, that
3 drags your score down by almost half a point.

4 So when you get into that sub four and a
5 half to maybe 2.8, you're going to see things where just,
6 if you get all people who are characteristically high
7 raters, I did a lot of this work in a different venue in
8 the past, and I was a characteristically a high rater, but
9 if you get two high raters or three low raters, it's very
10 hard to figure that out, particularly when you're looking
11 at small differences.

12 But the thing that I think we all notice
13 consistently is some people attach relatively poor write-
14 ups to relatively good ratings, which makes it sort of
15 like why did you rate this so low and write it up badly,
16 but that's sort of characteristic.

17 The only way you can get around that is run
18 a profile on the raters, so that every time you put up --
19 let's just say Paul Pescatello, and then you have how many
20 times out of, you know, statistically has he ever given a
21 two, no, has he ever given a three, once, so what Paul
22 would consider a really good grant is 3.2 or a 3.4, and
23 there are other people who never give anything higher than
24 six, and you can do that, but that's kind of cumbersome.

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 What we used to do in the military is they
2 would stamp your rater profile on top of your rating, and
3 then you could make some sense out of, you know, okay,
4 Pescatello thinks a solid B is a good grade, Galvin thinks
5 an A- is a good grade.

6 DR. FISHBONE: Could I ask you question
7 about that? With the reviews, which are a mixture of
8 obviously more than one reviewer, it looks like, if it
9 were one reviewer, they have split personalities, because
10 the first half is often good, the second half is not, and
11 then we get an average grant.

12 And it would make a difference to me if a
13 three was two people giving him three, or if it was one
14 person giving him six, and the other one giving him one,
15 because you might, then, get a better idea of where the
16 dichotomy is and, as you say, people's way of rating would
17 be a little more apparent, so I'm just wondering if that
18 has an impact on, as you were saying, on what the average
19 grant is.

20 It's like, if your head is hot and your
21 feet are cold, in the middle you're just about right.

22 CHAIRPERSON GALVIN: Well I think there's a
23 lot to say with that, particularly that, if I were
24 unfortunate had a pretty decent grant and I was

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 unfortunate enough to get three low raters or two very low
2 raters and an average rater and then I got people who
3 wrote the things up in a way that wasn't consistent with
4 the rating, then I might lose a very large grant, unless
5 the people considering it.

6 Of course, we're able to leaven those
7 things here a bit, but we might want to consider in the
8 future getting a profile on the people that do them. Do
9 they consistently give people high ratings and low write-
10 ups? What are they like for our internal purposes?

11 DR. DEES: But you can do something short
12 of that, which is, I mean, we don't have what individual
13 peer reviewers gave. All we have are the average, and it
14 might make a difference to me whether, you know, this has
15 a low score, because one person thought it was really bad,
16 but the other two thought it was really great. It might
17 make a difference to how I think about it, where if they
18 all agree on it, it might sway me a different way, and
19 that would be, I presume, pretty easy to do, wouldn't it?

20 MR. WOLLSCHLAGER: Well we have all the
21 scores. I mean I have the scores from the individuals
22 available. I will say that in the case where there were
23 three reviewers -- well, if I could back up, the primary
24 narrative that you see represents the write-up of the

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 primary reviewer, so to the extent you see something that
2 seems a little disjointed, that means a secondary or
3 tertiary reviewer is added, as well, but if there's only a
4 single narrative, that's from the primary reviewer, so
5 sometimes that's a disconnect between the narrative and
6 the overall averaged out score.

7 Scores are averaged when they are within a
8 couple of points, so you're not going to take a 6.0 and a
9 2.0 and come up with a 4.0. That's not the process they
10 follow. That requires a reconciliation process.

11 In the four cases this year, where there
12 was a significant discrepancy between the two reviewers
13 and the third, they actually brought in a fourth reviewer,
14 so it's not simply a case of taking a two, a four and a
15 six and coming up with a score of a four.

16 DR. DEES: Thank you. That's very helpful.

17 MS. TOWNSHEND: Any further discussion?

18 That's why DJs only go for four hours.

19 (Off the record)

20 MS. TOWNSHEND: What did we do with that?

21 35 I had as the team recommending no? Is that the
22 consensus of the group? All right, then, we're ready to
23 go on to 10S -- yes, ma'am? No, I was just about to
24 announce that one.

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 10SCB01, Wang Min, Regulation of VEGFR2
2 Signaling in Hemangioblast: Mechanism and Therapeutics,
3 Yale University, 3.5 peer review score, Arinzeh and
4 Hiskes.

5 DR. ARINZEH: Okay. This grant proposal is
6 about understanding the role of this intercellular protein
7 Epsin, which is a modulator of VEGF, which appears to
8 regulate hemangioblast differentiation from embryonic stem
9 cells, so they are going to be looking, then, very closely
10 at this VEGF regulation or expression of the VEGF and then
11 using this and, also, looking at Epsin.

12 And, again, the hemangioblast is the cell,
13 precursor that gives rise to endothelial cells, smooth
14 muscle cells and blood cells, so they think that this is
15 the most favorable cell to use for cardiovascular
16 treatments and therapies over, say, current treatments or
17 potential treatments looking at endothelial progenitor
18 cells.

19 This is a resubmission. They were able to
20 address the majority of the reviewers' comments, and, so,
21 the reviewers were favorable with this resubmission. They
22 thought the proposal was feasible, and they thought it had
23 important clinical implications for, again, cardiovascular
24 disease.

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 They call this a major weakness, although
2 the way it's reading and the way the reviewer posed it
3 seems like it's a minor weakness, but they said it's a
4 major weakness, in that the aim one may not -- you know,
5 again, there might be a disconnect. If aim one is not
6 successful, then you can't do aim two, but they
7 established a lot of preliminary data to show that they
8 could actually get hemangioblast differentiation.

9 So I see this as a minor weakness, because
10 they actually were able to accomplish that in preliminary
11 data, and then they had another little minor weakness, so,
12 overall the PI is well-established.

13 He or she, I'm not sure if it's a she, has
14 significant amount of NIH funding in cardiovascular area,
15 very distinct projects, so very well-established
16 investigator. So I would go for voting yes for funding
17 for this. Hiskes also voted yes.

18 MS. TOWNSHEND: The recommendation from the
19 team is to place this grant in the yes category. Is there
20 any -- is that the consensus of the group, or is there
21 discussion on this grant?

22 DR. KIESSLING: I mean this is a lot of
23 money. Are we definitely just going to put this in the
24 yes category?

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 MS. TOWNSHEND: Just remember that even a
2 yes could change over to a no. There's no final decision
3 until that final vote is taken. Yes, sir?

4 DR. LATHAM: As a practical matter, putting
5 something in the yes insulates it to bid from discussion,
6 because we're going to talk about the maybes with the
7 total yes amount in mind and all that.

8 DR. FISHBONE: There is a comment that the
9 budget needs some improvement in the reviews.

10 DR. KIESSLING: Up regulated, or down
11 regulated? What kind of improvement?

12 DR. ARINZEH: I was borderline maybe. I
13 was maybe/yes, okay? I was going back and forth. I'm
14 willing to change it to a maybe, if you feel like there
15 needs to be more discussion on it.

16 MS. TOWNSHEND: What does the group wish to
17 do? Right now, the recommendation is yes, with a possible
18 move to maybe.

19 DR. GENEL: Well I think what's troubling
20 all of us is that we really don't have parameters of how
21 much money is going to be available for this category.

22 DR. KIESSLING: Right. I mean it's equal
23 to five seed grants.

24 DR. GENEL: I'm looking at about seven or

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 eight million dollars higher than this at this point, at
2 least by peer review scores, so I think, you know, we're
3 going to have to set some sort of parameters and then
4 determine what the funding is.

5 MS. TOWNSHEND: Are you recommending a
6 maybe?

7 DR. ARINZEH: Okay.

8 DR. GENEL: Maybe is what I'd recommend.

9 MS. TOWNSHEND: Is that the consensus of
10 the group? Well I guess, actually, it just goes into
11 maybe.

12 Next grant for consideration is 10SCB21,
13 Dashzeveg Bayarsaihan, The Epigenetics of Wolf-Hirschhorn
14 Syndrome, A Stem Cell Approach, UCHC is the institution,
15 3.3 is the peer review score, Hart and Latham.

16 DR. HART: I got the waive there. Okay,
17 so, this is from an Assistant Professor at UCHC, and he
18 proposes to generate induced pluripotent cells from a
19 disease, known as Wolf-Hirschhorn Syndrome, to investigate
20 gene expression, epigenetic abnormalities in tissues, such
21 as neural crest bone derived tissues and neural lineages.

22 The reviewers were reasonably positive and
23 pointed out that there's some lack of adequate discussion
24 of possible pitfalls and alternative strategies. The

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 preliminary data, more preliminary data would be helpful,
2 and this person is apparently one year into a previous
3 award from us.

4 There's a very interesting and exciting
5 component to it, where there's a histone methylation
6 regulator that comes into an epigenetic type of approach
7 to this. That makes it very interesting, as well.

8 The grant is not an embryonic stem cell.
9 It could be appropriate for NIH. It's relatively basic
10 science, even though it is disease related. It's at the
11 early stages of finding out what might be the phenotype
12 cellular level of the disease.

13 There is some -- let's see. Let me go to
14 the back page here. This PI does have NIH support for a
15 different project involved in creating cranial facial
16 development and, also, carries a career development award
17 from NIH associated with that R01 project, and, as I said,
18 started in '09 a project on William's Syndrome associated
19 TF21 factor and epigenetic marking in hESC and iPS cells.

20 I could not tell, just by looking at the
21 title, how much independence of overlap there was in the
22 projects, but they do sound a little similar.

23 I guess I'd put this in the solid maybe
24 category in my book.

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 CHAIRPERSON GALVIN: What is the incidence
2 of this disease in the general population?

3 DR. HART: I saw that. I have to pull that
4 out.

5 MS. TOWNSHEND: Wolf-Hirschhorn Syndrome.

6 CHAIRPERSON GALVIN: Because I've never
7 heard of it before today.

8 DR. HART: Here it is. About one in
9 120,000 babies in the U.S. -- no. That's total birth
10 defects. I'm sorry. I'm sorry. I thought I saw that
11 when I was reading this, and I've lost where I saw it.

12 MS. TOWNSHEND: Wolf-Hirschhorn Syndrome is
13 known as deletion 4p and 4p syndrome. Most common
14 abnormalities are seen include profound mental
15 retardation, seizures, poor muscle tone, cleft lip, or
16 cleft pallet. Thank you, Wikipedia.

17 DR. HART: We don't see incidence, though.

18 DR. FISHBONE: If I could ask a question?
19 If something that is that uncommon, would that give it a
20 high priority? I mean is it important to understand how
21 that disease works, in terms of us funding?

22 DR. HART: Well why don't we hear from the
23 second reviewer first and actually come back to that?

24 DR. LATHAM: I just found something from

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 NIH, so it's actually a reasonably authoritative website
2 that says Wolf-Hirschhorn Syndrome is estimated to occur
3 in one in 50,000 births, but that may be an underestimate,
4 because some affected individuals are never diagnosed.

5 I was inclined more toward no than toward
6 maybe, only because it's an iPS project and, therefore,
7 eligible for funding elsewhere, and when I looked down the
8 list, I see many higher ranked human embryonic stem cell
9 projects, and, so, I was just inclined to not fund it for
10 that, mainly for that reason.

11 DR. HART: I'm not disagreeing with your
12 interpretation, but remember that most of the embryonic
13 stem cell projects we've read are eligible for NIH
14 funding. Very few of them are not.

15 DR. LATHAM: Yeah. I guess I was just
16 muddling the question of eligibility for NIH funding,
17 which of course has changed, and the stated priorities of
18 this body, which are in the area of human embryonic stem
19 cell research.

20 MS. TOWNSHEND: We do have a maybe on the
21 table, so barring any further discussion, this would --
22 Dr. Hart?

23 DR. HART: Yeah. Ideally, this would be
24 near the bottom of the maybe, so we could consider it.

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 MS. TOWNSHEND: Okay, so, this grant will
2 go into the maybe category.

3 Next grant for consideration is 10SCB17, M.
4 Hicham Drissi, Development of Novel Translational
5 Approaches for the Repair of Human Osteoarthritic
6 Cartilage Explants Using Embryonic Stem Cell-derived
7 Chondrocytes, UCHC is the institution, 3.2 is the peer
8 review score, Hart and Latham.

9 DR. HART: Your turn.

10 DR. LATHAM: The idea here is to turn the
11 CT2 embryonic stem cell line into articular-like
12 chondrocytes and implant them into human cartilage defect
13 in an organ culture using discarded articular joints.

14 This was pretty well received by the
15 reviewers. It has both in vitro and in vivo tests built
16 into the plan. I think it's also attractively closer to
17 clinical application, and it's also attractively multi-
18 disciplinary, and it's in the researchers who are
19 cooperating in it.

20 The reviewers rated it as highly
21 innovative, and they very much liked the cooperation
22 between UCHC and the New England Musculoskeletal
23 Institute.

24 I do have a question about the physical

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 location of the New England Musculoskeletal Institute,
2 which do we have that before us? Because that speaks to
3 the Connecticutness of the grant. Oh, I see.

4 MS. TOWNSHEND: It's part of the UConn
5 Health Center.

6 DR. LATHAM: Okay. All right. In that
7 case, my inclination is pretty favorable. I would be
8 inclined to say yes, because of the reviewers of it and
9 because of its closeness to translational opportunity.

10 DR. HART: Yeah, I think that's exactly
11 right. It's kind of high enough in a scientific review
12 score to make it eligible for automatic yes, and the
13 positives that build on that are the use of, at this
14 point, non-federally approved embryonic stem cell lines so
15 far, and the close association was kind of pre-
16 translational studies, so I agree. Yes.

17 MS. TOWNSHEND: Comments?

18 DR. KIESSLING: I thought this was a great
19 application, for what it's worth.

20 DR. FISHBONE: I'd like to ask one question
21 about the reviews. It says insufficient information was
22 provided why they chose the CT2 human ES cell line, and
23 they cultured human embryonic cells in their laboratories.

24 Lack of required experience with human ES

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 cells is less critical to a seed grant, but is a serious
2 concern for a four-year, one-million-dollar grant. My
3 understanding is that the established investigator status
4 refers to their status in stem cell research, not just the
5 years or ranks of an investigator in overall research.

6 DR. HART: Sounds a little unfriendly, but
7 they are claiming in the resources access to the stem cell
8 core, and I would assume, without having read this, that
9 the choice of the cell line was based on their experience
10 or those of their collaborators. That would be the only
11 reason for doing that.

12 MR. MANDELKERN: Again, I would like to
13 know how this fits with the large Row grant work that was
14 done in the same area. Is this replication? Is this new?
15 Where does it fit with what was just finished, and what
16 sort of results came from the large grant that was given
17 to Row in the several million-dollar group grant?

18 DR. HART: I wasn't around for that, so I
19 can't answer.

20 MR. MANDELKERN: Does anybody have any
21 answers to that, because we've gotten several EI million-
22 dollar requests for funding in the same area? I'm not
23 knocking, but I'd like to know where it stands.

24 MS. TOWNSHEND: Dr. Lalande?

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 CHAIRPERSON GALVIN: Marc, would you care
2 to comment?

3 DR. MARC LALANDE: No.

4 MS. TOWNSHEND: But he will anyway.

5 CHAIRPERSON GALVIN: In English, please,
6 not French.

7 DR. LALANDE: I will. I will endeavor to
8 do that, Commissioner. Dr. Drissi was not part. Dr.
9 Drissi is a relatively recent rival I think within the
10 last two years. He was not part of the original group
11 grant. Started his own lab down in a separate building
12 down the hill, so he was not part of the original group
13 grant, and that's all I can say.

14 He was not part of that group, and he's
15 basically started this work on his own. He comes from a
16 different background, works in transcription factors
17 related to osteogenesis, and actually has a translational
18 component down with the docs down there, so it's a more
19 translational environment than the previous group. I
20 don't know if that's helpful, but that's all I can say.

21 CHAIRPERSON GALVIN: Thank you.

22 MS. TOWNSHEND: Thank you.

23 DR. HART: There is no mention of that
24 other grant under research support, so that concurs.

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 MS. TOWNSHEND: The recommendation of the
2 team I understand is yes, to place this in the yes
3 category. Is that the consensus of the group? This grant
4 is placed in the yes category.

5 Next grant for consideration is 10SCB22,
6 Andrew Xiao, Epigenetic Mechanisms During Cellular
7 Reprogramming, Yale University is the institution, 3.2
8 peer review score. This would be Dees and Pescatello.

9 DR. DEES: I think it's my turn. These
10 experiments try to understand the basics of cell
11 reprogramming that are the key to characterizing induced
12 pluripotent cells. They will look at the pathways by
13 which DNA and chromatin are reset by looking at the role
14 of a particular histone and the enzyme that seems to play
15 an important role.

16 The plan is to look at the role of the
17 system and the enzyme during reprogramming and see how it
18 regulates chromatin domain structure. This is from a new
19 assistant. He's an Assistant Professor, so a fairly young
20 researcher.

21 This work is really important for
22 understanding the processes involved in induced
23 pluripotent cell reprogramming, though it's really a
24 pretty far distance from what we've just been talking

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 about, translational kind of research. It's pretty
2 distant from therapy.

3 The reviewers were really pretty impressed
4 with the design and with the thorough methods that are
5 being used, but they point to a few significant problems,
6 whether this particular histone is as critical as they
7 think, for example, and whether some of the experiments
8 are, in fact, feasible. Those sound like fairly
9 significant problems to me, so I wasn't quite sure why it
10 got as good a score as it did, but I was willing to defer
11 a bit to them.

12 My original inclination was to say yes, but
13 I guess I'm more inclined to say maybe now.

14 MS. TOWNSHEND: Second reviewer?

15 DR. PESCATELLO: I guess I would just start
16 by saying that our charge is for translational. That's an
17 emphasis, but it's also basic research. I mean it's not
18 just translational, and I think basic research done in
19 Connecticut and good basic research is really important.

20 And I thought, as far as I could tell, that
21 this was such a project that it was very important basic
22 research, being done by a highly credentialed sort of new
23 person, relatively new person to the field, which is
24 something we should encourage.

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 I have to say that -- so I'll just read.
2 Under the significance, the summary, it says the study
3 examined some of the important features in cell
4 reprogramming, however, the outcome might be that this
5 histone variant has a role in determining cell survival or
6 proliferation rather than a direct impact on
7 reprogramming, per se.

8 I see this as that's what it's all about,
9 is to understand that, and the reviewer seems to be having
10 a problem with the outcome, and this is all about the
11 research, so I was a yes.

12 MS. TOWNSHEND: We have a maybe and a yes,
13 so it would go into the maybe category. If there's other
14 discussion? Ann?

15 DR. KIESSLING: The only problem I have
16 with this is that we have another -- we've got two or
17 three reprogramming grants, and, if we're not careful,
18 we're going to be spending three million dollars on
19 reprogramming grants, and this is a lot of money to ask
20 this question.

21 It isn't going to cost a million dollars to
22 answer the question of this histone factor. That was my
23 concern about this application.

24 MS. TOWNSHEND: Is it the consensus of the

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 group -- well it goes into maybe. Okay.

2 Next grant for consideration is 10SCB16,
3 Natalia Ivanova, Transcriptional Control of Pluripotency
4 in Human Embryonic Stem Cells, Yale University is the
5 institution, 3.1 the peer review score, Fishbone and
6 Goldhamer.

7 DR. GOLDHAMER: All right, so, this is a
8 grant that builds on the PI's previous work in mouse
9 embryonic stem cells, in which he's identified a number of
10 pluripotency genes that are distinct from the ones that we
11 all know about, OCT-4, SOX2 and Nanog.

12 And, so, she has had, I think has perhaps
13 just ended a seed grant, and she's now applying for an
14 established grant, based on the results from the seed
15 grant, so, in her seed grant, she was able to identify
16 seven genes that are implicated in pluripotency and
17 differentiation, because when they're knocked down, when
18 their function is eliminated, these cells rapidly leave
19 the pluripotent state and differentiate.

20 And, so, what I liked about this grant are
21 a few fold. First of all, she's a new Assistant Professor
22 at Yale. She's been there two years. She's productive.
23 She's accomplished. She has the technical know how,
24 particularly with the team she's put forth, to do these

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 kinds of functional analyses and to handle the large
2 volumes of data that will come out of her analysis, which
3 will include various types of transcriptum analyses.

4 And I also liked the fact that, again, this
5 is a theme that we're hearing today, that she had a seed
6 grant, she was productive in the sense of generating data
7 that she's now parlaying into this established grant, so,
8 all-in-all, I was favorably impressed. It was a well-
9 written grant. The reviews were positive. And I'll just
10 tell you just a couple of lines about what the reviewer
11 said.

12 They said the strength of the proposal lies
13 in the applicant's strong in vitro data and collaboration
14 with scientists in complimentary fields. She plans to
15 build on very successful efforts in understanding
16 mechanisms of self-renewal and differentiation from murine
17 cells.

18 And they thought that the experiments were
19 highly feasible, which is what I have tried to get across,
20 because of her experience and past experimentation. I
21 like the grant, I thought it was very solid, and I put it
22 in the yes category.

23 DR. FISHBONE: I would agree with
24 everything that David said, and she apparently is a very

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 strong researcher, highly regarded, and produced very good
2 work, and I think we should support this.

3 MS. TOWNSHEND: Is it the consensus of the
4 group this grant be moved to the yes category? This grant
5 is moved to the yes category.

6 Next grant is 10SCB29, In-Hyun Park,
7 Epigenetic Regulation of Reprogramming, Yale University,
8 the score is 3.0, for those of you who are following the
9 same sheet that I am. It had said something different,
10 but it is 3.0, Kiessling and Mandelkern.

11 MS. HORN: And there is proprietary
12 information in this grant marked.

13 DR. KIESSLING: This is an application from
14 someone who has trained in George Davies lab at Harvard.
15 He actually developed some of the methods for deriving iPS
16 cells from fibroblast cells for disease-specific iPS cells
17 in that lab.

18 And because he was in that lab, that's
19 quite a rich CV now for a young investigator, and he's
20 just been recruited to Yale. The basic problem with this
21 application is it's just not very innovative.

22 Lots of people have done -- much of what's
23 been done is being proposed in this grant. He's simply
24 going to look at a lot of epigenetic modifications of iPS

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 cells.

2 It's not nearly as innovative and strong as
3 the grant that we just heard from, the Ivanova grant. It
4 is more comparable to the grant above that, although,
5 again, it's not quite as imaginative.

6 I don't know quite what to do about this
7 grant, because I'm sure this investigator is going to do
8 all this work. I don't know that we're going to get a
9 million dollars' worth of information after he has done
10 all this work, and one of my concerns about him is that,
11 for some reason throughout this grant, he's expressed the
12 opinion that if iPS cells are not exactly like hES cells,
13 they may not have clinical value, and I don't think that's
14 a generally held view.

15 I think we need to understand iPS cells and
16 exactly what their limitations are, but I don't think the
17 goal is to make them -- I don't think the general view is
18 that they have to be exactly like hES cells to have
19 therapeutic value.

20 So I'm wondering, if that's his
21 overwhelming push here, if he's going to miss some really
22 important information along the way, so I have concerns
23 about this grant, because I think it's pretty routine.
24 It's a lot of money for a young investigator. Bob?

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 MR. MANDELKERN: I'm the other reviewer on
2 this grant, and it's strange. Two-odd years ago, all you
3 heard was iPS cells taking over from hES cells. Every
4 time I lifted my head, I was told that hES is passe and
5 iPS is what's around.

6 Now here's a grant that tends to do a lot
7 of work in the iPS field, with the comment is an excellent
8 young investigator with an extensive record of publication
9 in high-impact journals, and he's recently been recruited
10 to our state to work in stem cell and the iPS field.

11 It seems to me that this is an area that
12 once we've opened we can't turn our backs on iPS, because
13 it's endemic. I would say that this should go in the yes
14 area for the quality of the work that this investigator
15 has done and for the quality of work he proposes to do and
16 his publication record, so I would propose a yes.

17 MS. TOWNSHEND: Dr. Kiessling?

18 DR. KIESSLING: Well I would actually like
19 to compare this with the -- I mean we're looking at three
20 essentially reprogramming grants here, and I don't think
21 we want to spend three million dollars on iPS cell
22 reprogramming, so I would actually like to keep this in
23 the maybe, and we'll compare it back to the other grants
24 in the similar topic from the same institution, and I

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 think we're going to be able to use the money more
2 judiciously that way.

3 MS. TOWNSHEND: This grant will be -- oh,
4 Dr. Latham?

5 DR. LATHAM: No.

6 MS. TOWNSHEND: Okay. Your mike was on.
7 Sorry. This grant will go into the maybe category.

8 Next grant for consideration is 10SCB12,
9 Laijun Lai, Generation of Hematopoietic Stem Cells and T-
10 cell Progenitors from Human ESCs, UCHC is the institution,
11 3.0 is the peer review score, Genel and Wallack.

12 DR. WALLACK: I found this grant to be a
13 clear, well-written proposal. It's, again, something that
14 we've mentioned a few times. It's an extension of work
15 that has created documentation. He started with a seed
16 grant.

17 In reading the grant, if successful, could
18 be a major breakthrough. He's working in an area that I
19 think that could, in fact, be on the cusp of translational
20 work. I would fund this.

21 In this instance, my own reading of his
22 proposal was that my rating of it would be, in fact,
23 better than the PR's 3.0, so I would endorse going forward
24 and funding this particular project.

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 MS. TOWNSHEND: Dr. Genel?

2 DR. GENEL: Yes, I agree. If you look at
3 the review scores, they write up exciting preliminary data
4 from a seed grant. The only caveat is the concern that
5 this may be more ambitious than they can carry out, but
6 I'm not deterred by that. I agree. I think I would put
7 this in the yes category.

8 MS. TOWNSHEND: Discussion? Is it the will
9 of the group, or the consensus of the group to --

10 DR. GENEL: Tentatively, until we determine
11 how much money we have.

12 MS. TOWNSHEND: Tentatively, yes? Would
13 that be maybe? Tentatively, it's yes.

14 DR. GENEL: At some point, we're going to
15 have to decide how much money we have.

16 MS. TOWNSHEND: So the question is is there
17 a consensus among the group that this go in the yes
18 category?

19 DR. GENEL: Move yes.

20 MS. TOWNSHEND: This grant is placed in the
21 yes category. We have six more grants to go before you
22 get a break, so I'm just letting you know.

23 10SCB19, Caihong Qiu, Regulations of Lin28
24 in Human Embryonic Stem Cell Self-renewal and

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 Differentiation, Yale University is the institution, 2.8
2 the peer review score, Hart and Pescatello.

3 MS. HORN: And there's proprietary
4 information marked in this grant.

5 DR. HART: Okay. This is a grant from an
6 established investigator at Yale, part of the stem cell
7 core there. The proposal will look at Lin28 and how it
8 regulates OCT-4 expression at a translational level and
9 the molecular circuitry involving Lin28.

10 The review was very nice. It says it was a
11 well-written and straightforward proposal, moderately
12 innovative, but significant. It investigates specific
13 elements involved in stem cell renewal and
14 differentiation.

15 The most negative thing we could really
16 find in the review is the question about how valuable the
17 science was at a million-dollar price tag and that this
18 proposal is a highly ambitious line, which is, you know,
19 either a concern about the focus of the proposal, or the
20 scope of what's involved in the time allotted.

21 The one other point that came up during
22 reading this was that, literally, as I was reviewing this
23 grant, popped up on my screen was a publication from
24 George Daily's lab that published a Lin28 knockout mouse,

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 which should provide a lot of the science that's being
2 proposed here, but not in a human stem cell situation.
3 It's just kind of interesting.

4 Both shows the competitiveness of the idea,
5 and the fact that things are changing so rapidly we almost
6 can't judge the grant, based on what's proposed today.

7 However, the project is human stem cell
8 associated. It's, at this point, with the cell lines
9 being proposed, not NIH fundable. It has kind of indirect
10 health medical related application, and the only real
11 negative that I've got is that this should be an NIH grant
12 at this point, or this should be very close to an NIH
13 grant at this point.

14 This laboratory has listed four Connecticut
15 stem cell grants active right now and one completed. It
16 seems to me that this group it's time for them to go to
17 NIH, but, with that said, I'm going to mark it yes, with a
18 little bit of reluctance, just based on -- I wish they'd
19 shoot a little higher.

20 MS. TOWNSHEND: Paul?

21 DR. PESCATELLO: I think that's a good
22 summary and good comments. I think we're going to have to
23 have a little talk about reprogramming. I think that's a
24 good way, actually, to judge the remaining one, when we

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 have all of our maybes and yeses and categorize all the
2 reprogramming and have a discussion about that, but I
3 would vote yes, knowing we're going to do that. That's a
4 yes.

5 MS. TOWNSHEND: The recommendation of the
6 peer reviewers, or the reviewers is placing this in the
7 yes category. Is that the consensus of the group? Yes,
8 sir?

9 DR. FISHBONE: One of the things that is
10 concerning me about several of the grants is that the same
11 quotation has come up. This is interesting work, but it's
12 not worth a million dollars, or is it worth a million
13 dollars?

14 And I know that last year we increased our
15 funding for established grants to a million. I'm just
16 wondering, you know, maybe David could comment on that,
17 because I know he has feelings about this, but it's
18 interesting how many times that observation has been made
19 that it's a good project, but is it worth a million
20 dollars to get that information?

21 MS. TOWNSHEND: Any further comment?

22 CHAIRPERSON GALVIN: Yeah, I have a
23 comment. What my understanding is, on the last four of
24 the six, with this grant we've just allocated four million

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 dollars out of a total of 9.8, and we've already allocated
2 14,494,360, 15 million, and we only have 9.8 million to
3 spend.

4 Certainly, on these smaller grants, you
5 can't go back and take a \$200,000 grant and cut it in
6 half. It ain't going to work, and there's only a minimal
7 amount on even these million-dollar ones.

8 If you cut them too far, they're
9 impractical, so I guess what we're going to do is continue
10 to go on and approve and then go back and somehow trim all
11 these back?

12 DR. WALLACK: Bob, can I just comment on
13 that? As I'm sitting here, as I've done for the last four
14 years now, I think that's exactly what we're going to have
15 to look at doing.

16 It's interesting. Just because we have put
17 out there a million-dollar budget for a particular grant,
18 it's very interesting to me how they all come in exactly
19 at a million dollars, for the most part. There's the
20 exceptions, of course.

21 CHAIRPERSON GALVIN: Are you surprised?

22 DR. WALLACK: But that's my point, and my
23 point, also, is the fact that it's impossible four years
24 down the road to know what supplies and other costs will

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 be. There are other weak spots in it. There's travel
2 expenses in it. There's all kinds of things in it, and,
3 as we've done before, and I had no problem with doing
4 this, I'm anticipating that if we really think that a
5 particular grant is worthwhile, we may like it even more
6 at, say, 50 percent of the requested amount, so, yeah, I
7 think we have to come back either later today or tomorrow
8 ready to cut some of those grants, the larger grants.

9 DR. GOLDHAMER: Can I make a couple of
10 comments? I mean I'm not in favor of an across-the-board
11 cut, but I think we have heard today that there's a number
12 of grants where the million-dollar price tag isn't
13 justified, and those should get special scrutiny.

14 I also want to say so I was a proponent of
15 increasing the budget per grant this year, so a million-
16 dollar grant that's an \$800,000 direct cost grant, and for
17 an established investigator over a four-year period to
18 fund, you know, a couple of postdocs with salaries and
19 fringes and 10 percent, let's say, of a PI's salary, or
20 maybe sometimes I'm looking at one that's about 20
21 percent, the money goes fast.

22 And, so, you know, if someone asks for a
23 million dollars, I wouldn't certainly out of hand say that
24 that's excessive and they just shot for that maximum

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 value.

2 And I think, in a number of cases, probably
3 the majority of that can be justified, but I agree that we
4 need to look at this on a case-by-case basis and be very
5 ready to cut those where there was hints that the million
6 dollars can't be justified.

7 CHAIRPERSON GALVIN: I have trouble,
8 although I agree with what you just said, but I have
9 trouble. It's not much when you spread it over four
10 years, but if you cut the million dollars back to 600,000,
11 then is that just foolishness, or are we better to pick
12 the very best ones we can and fund them in a reasonable
13 fashion?

14 I mean anybody -- if we said, look here,
15 Pescatello. You asked for a million bucks, and we think
16 you got a hell of a lot of nerve, but we're going to give
17 you 500,000, what are you going to say?

18 DR. PESCATELLO: I'll take the five now,
19 Bob.

20 CHAIRPERSON GALVIN: I'll take the five,
21 yeah. And I just wonder how handicapped -- I think we
22 need a philosophy for that.

23 DR. PESCATELLO: I just want to point out
24 my sense is that when the reviewers and when we say

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 something is not -- we question whether it's worth a
2 million dollars, we mean if the investigator finds what
3 they say they want to find, is it really worth it to the
4 world, four million dollars?

5 CHAIRPERSON GALVIN: Sure.

6 DR. PESCATELLO: They're not saying that
7 they're ripping us off, that there's excess, there's fat
8 in the budget. There may be, but I think there are
9 occasions where they pointed that out, where we either
10 have seen that, or the peer reviewers have said do you
11 really want to fund PCR hoods?

12 I'm going under the assumption that the
13 peer reviewers and we, in going over the budgets, would
14 identify fat in the budget, but, again, I think that value
15 thing is the value for the outcome of the research.

16 CHAIRPERSON GALVIN: Ron?

17 DR. HART: I think what we're really after
18 here is value for science, of course, both the quality and
19 quantity, in terms of the value, and, so, we've had grants
20 in this category, where there's a million-dollar max where
21 they're spent a \$500,000 budget, and, in my mind, that was
22 a plus, in terms of maybe it was a little more a chancy
23 project, but we weren't vetting as much money on it, of
24 the taxpayers' money on it either.

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 So it's a better value for what we're
2 trying to accomplish here, however, if we do come back and
3 feel as though there is a benefit to funding some more
4 projects with less money, in my mind, the best way to do
5 that is to say let's ask the PI to take it as a three-year
6 or a two-year project at the same per year rate and reduce
7 the number of aims proposed to match.

8 CHAIRPERSON GALVIN: We've done that
9 before.

10 MR. MANDELKERN: I would like to make a
11 comment, that the two reviewers on this grant both propose
12 yes, so far as I understood, and then the question of are
13 these grants worth a million dollars was raised in a
14 generic sense, so I think it's kind of an inequity to stop
15 in the middle of this grant, which had yes, and raise the
16 question of what it's worth.

17 I think we should go ahead. So far, my
18 calculations show we've said yes to four established and
19 seven seeds. That's five and a half million dollars that
20 we've said yes to, all subject to review, so we're not in
21 deep trouble with the dollars.

22 I think this yes should go forward, and
23 one, two, three, four, five more reviews should be done,
24 and we're at a point, is the way I see it, not to stop in

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 the middle and suddenly put the burden of the whole
2 question on one particular grant. It's unfair.

3 MS. TOWNSHEND: Dr. Fishbone?

4 DR. FISHBONE: Bob, the only reason I asked
5 the question at this point was it says these are all
6 valuable science, but a million dollars is quite a high
7 price tag for the potential results. That's in their
8 review. It's in their review of this grant.

9 MS. TOWNSHEND: The recommendation of the
10 team is yes. Is there a consensus within the group that
11 we move this to the yes category?

12 DR. FISHBONE: Yes.

13 MS. TOWNSHEND: Yes. Thank you.

14 CHAIRPERSON GALVIN: Five to go, and we'll
15 take a break.

16 MS. TOWNSHEND: Next grant is 10SCB02,
17 Lawrence J. Rizzolo, Co-differentiation of the hESC-
18 derived Retinal and Retinal Pigment Epithelial
19 Progenitors, Yale University is the institution, 2.5 the
20 peer review score, Arinzeh and Hiskes.

21 MS. HORN: And there's proprietary
22 information indicated in this grant.

23 DR. ARINZEH: Okay. This proposal
24 investigates the use of embryonic stem cells as a source

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 of retinal pigment epithelium in retinal cells and to
2 promote their maturation and culture as a way of improving
3 success for transplants.

4 This, again, is for age-related macular
5 degeneration, and, currently, these are PE or retinal
6 pigment epithelium do not fully differentiate, so that's
7 the problem, so they would like to use ES cells as a
8 transplant if they can get them to mature.

9 So the reviewers were very excited and had
10 a lot of enthusiasm for this proposal. They felt that the
11 investigator had a really good sense of knowledge about
12 the limitations of the various specifics, mouse genetics
13 versus human. They explained that very well in the
14 proposal.

15 They're looking at various embryonic stem
16 cell lines, and then they plan to do the various molecular
17 and biochemistry level assessment of differentiation.
18 They're also going to be doing co-culturing with other
19 cell types to get this maturity.

20 So the reviewers were very favorable.
21 There was a minor weakness, in that they would hope they
22 were looking for a progression to in vivo validation of
23 the cells. That would make the application stronger, but
24 they felt that that was a minor weakness.

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 They still felt that the application was
2 very strong. Experimental data, preliminary data it was
3 very solid, and they used the term "compelling," so the
4 recommendation would be yes, and Hiskes also had the
5 recommendation of yes.

6 MS. TOWNSHEND: The recommendation from the
7 team is yes. Is that the consensus of the group? This
8 grant moves into the yes category.

9 Next up is 10SCB03, Diane Krause, Use of
10 Human Embryonic Stem Cells and Inducible Pluripotent Stem
11 Cells to Study Megakaryoblastic Leukemia, Yale University
12 is the institution, 2.5 the peer review score, and that is
13 also Arinzeh and Hiskes.

14 MS. HORN: And it also has proprietary
15 information indicated.

16 DR. ARINZEH: Okay. The PI's goals here
17 are to determine how infantile leukemia develops, so they
18 would like to modulate blood progenitors in order to
19 determine how they develop, so they're basically going to
20 be developing these progenitors from murine liver, as well
21 as human embryonic stem cells.

22 So they will focus on this, again,
23 infantile, this acute megakaryoblastic leukemia. Let's
24 just see. Okay, so, the reviewers, again, were

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 enthusiastic. We felt this was a very well-written
2 proposal, with a lot of preliminary data. The
3 investigators are highly qualified to perform the studies.
4 They thought it had a multi-faceted approach, and, again,
5 likelihood of success, because they're looking at
6 different cell lines and species. They thought some of
7 the -- were a little risky, but, again, those were minor
8 issues, because the investigator laid out alternative
9 approaches.

10 So, overall, the reviewers weren't
11 enthusiastic. Very little to say about any weaknesses at
12 all with this proposal, so the recommendation would be,
13 again, yes. Hiskes also said yes.

14 MS. TOWNSHEND: The recommendation of the
15 team is to move this grant into the yes category. Is that
16 the consensus of the group? This grant moves to the yes
17 category.

18 Next up, 10SCB05, Angelique Bordey,
19 Mechanical Control of Neural Stem Cell Fate, Yale
20 University, 2.5 is the peer review score, Arinzeh and
21 Hiskes.

22 DR. ARINZEH: Okay. All right, so, the
23 proposal here is to look at, the hypothesis here, I guess,
24 is local mechanical cues on epigenetic factors controlling

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 neural stem cell proliferation and fate.

2 And, so, the novelty really in this
3 proposal the reviewers were going at was that they have a
4 neat way of doing this kind of in vivo labeling.

5 COURT REPORTER: One moment.

6 DR. ARINZEH: So, yeah, the novelty here is
7 we'll oversee some of the neat things that they're able to
8 accomplish, is that they are able to do this live labeling
9 of a subpopulation of these neural stem cells, again,
10 these characteristics of neural stem cells.

11 So they're going to use this technique to
12 really understand, then, kind of this presence of these
13 cells, the distribution of these cells. They're also
14 going to look at mechanical cues, how these control neural
15 stem cell proliferation and fate.

16 The local mechanical cues work they're
17 doing in vitro, and they're using parameters that they
18 believe would occur in vivo. I thought that was --
19 personally, I thought that was some weakness there in the
20 aim, but the reviewers didn't really seem to pick up on
21 that so much, but they do comment that that's a
22 controversial issue about the physical cues on cell
23 differentiation, so they thought that was a bit of an
24 issue.

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 But, overall, the reviewers were
2 enthusiastic, it's a solid grant proposal, so my
3 recommendation would be yes, and Hiskes is also yes.

4 MS. TOWNSHEND: The recommendation of the
5 team is to place this grant in the yes category. Is that
6 the consensus of the group? This grant moves to the yes
7 category.

8 Next up, 10SCB30, James Yuanhao Li,
9 Modeling Parkinson's Disease using Human Embryonic Stem
10 Cells and Patient-derived Induced Pluripotent stem cells,
11 UCHC is the institution, 2.5 the peer review score, Genel
12 and Mandelkern.

13 DR. GENEL: This is an application that got
14 very well scored to develop specific cell lines for
15 Parkinson's Disease by inserting some newly discovered
16 familial genes for very rare types of Parkinson's Disease
17 and use that to develop a cellular model of Parkinson's
18 Disease to study.

19 This was well reviewed, as per the score.
20 The only caveat is the comment by at least one of the
21 reviewers, that dopaminergic neurons have already been
22 derived from Parkinson's Disease by several groups and
23 that the grant application was not particularly
24 innovative.

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 That aside, the other reviewer seems to be
2 quite positive, so I would put this in the yes category
3 for the present time.

4 MR. MANDELKERN: I'm the other reviewer for
5 this grant, and I spoke to counsel about it, and while
6 there's no legal proscription from my participating, we
7 felt, for my own protection and the protection of the
8 committee, that I should recuse myself in case any ethical
9 or other issue would be raised that would hurt the
10 committee, so I recuse myself from reporting or commenting
11 on this grant.

12 MS. TOWNSHEND: Thank you. The
13 recommendation from part of the team is that we place this
14 grant in the yes category. Is that the consensus of the
15 group?

16 CHAIRPERSON GALVIN: Let me make a -- I'm a
17 little concerned about that the dopaminergic cells have
18 already been derived from other sources, and this appears
19 to be an attempt -- the word very rare forms of
20 Parkinson's Disease.

21 DR. GENEL: Well, no. I think it's an
22 attempt to take advantage of the discovery of rare types
23 to learn more about Parkinson's Disease, rather than to
24 learn something specifically.

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 The notion is that you can create a
2 cellular model of Parkinson's Disease by utilizing these
3 genetic factors that have been uncovered in a few
4 families, so I think it's more opportunistic in that sense
5 than it is an attempt to study a rare form of Parkinson's
6 Disease, and the first reviewer does say that this is an
7 innovative and feasible proposal.

8 This might be a grant that would fall into
9 the category of funding, but not at the level requested.
10 One would wonder if they've already, in fact, generated
11 these lines. The application was submitted several months
12 ago, and, if it was feasible then, it was -- now is
13 feasible, then I would wonder if they already have
14 generated the cells.

15 But I don't think it's an attempt to study
16 a rare form of disease, rather to --

17 CHAIRPERSON GALVIN: I heard it as very
18 rare, and maybe it's medium rare.

19 DR. GENEL: No, no, no, no, no. The
20 genetic disorder is rare, but Parkinson's Disease is
21 certainly not rare.

22 CHAIRPERSON GALVIN: I know that. I have a
23 relative with it, but the very rare bothered me.

24 MS. TOWNSHEND: Is the consensus of the

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 group that we move this to the yes category? This grant
2 is moved to the yes category.

3 And, finally, 10SCB36, Richard A. Flavell,
4 Reconstitution of Human Hematopoietic System by HSCs
5 Derived from Human Embryonic Stem Cells in Humanized Mice,
6 Yale University is the institution, 1.8 the peer review
7 score, Kiessling and Mandelkern.

8 CHAIRPERSON GALVIN: What kind of mice?

9 MS. TOWNSHEND: Humanized.

10 CHAIRPERSON GALVIN: Like Mickey?

11 MS. TOWNSHEND: Sort of.

12 MR. MANDELKERN: No, like Mini. It is my
13 extreme pleasure to report on this grant, which received
14 the highest peer review score of 89 grant proposals. It
15 is an innovative proposal to study embryonic stem cells,
16 in terms of humanizing immune deficient mice and
17 represents significant advance of some mice
18 characterizations that have been done by this group.

19 It's true that they have money from other
20 sources, but with a 1.8 score and the highest among 90, I
21 feel, and the science is sound, that I recommend a yes
22 proposal.

23 DR. KIESSLING: This, actually, I think is
24 going to be a really good topic of discussion, because

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 this is a tough decision, I think, for us to make. This
2 grant actually has the same criticism as the liver grant
3 that I reviewed before.

4 The peer review actually says the same
5 thing. This is a senior investigator. He has no
6 experience deriving human hematopoietic stem cells.
7 Deriving human hematopoietic stem cells is not a cookbook
8 operation quite yet. He's got some people involved in
9 this work.

10 This is an extremely well-funded
11 investigator. He definitely -- he isn't even asking for
12 any of his own salary, so I just -- we were going to
13 really have to, even though this is the top score, it's a
14 beautifully written application, he has a lot of really
15 good people on it, and it's another use of this wonderful
16 mouse model that this immunologist has come with.

17 So the concept of a humanized mouse is that
18 you can put human cells into this animal, and they don't
19 get rejected as foreign right away. Sometimes, they do.
20 So it's a beautiful system, he's a wonderful scientist, he
21 has a ton of money, and he has exactly the same criticism
22 as the other senior investigator that I reviewed.

23 There's no experience, absolutely no
24 preliminary data that they know how to derive human

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 hematopoietic stem cells, but the reviewers didn't
2 criticize this application for that, whereas they did
3 criticize the other application on the liver grant.

4 So even though this is the top score in our
5 pot, I think we really need to decide if we want to give
6 this very well-funded investigator another million
7 dollars.

8 CHAIRPERSON GALVIN: Yeah. If I can
9 summarize, he's very well-funded, he's a very nice guy,
10 they write very well, and he's got very nice people that
11 work for him. That's terrific.

12 DR. KIESSLING: Well, no. It could be that
13 this is really good use of Connecticut money. I mean this
14 mouse model may solve the problem of why we can't derive
15 human hematopoietic stem cells very easily.

16 CHAIRPERSON GALVIN: But don't you think
17 it's the quality of the work that can be done, rather than
18 the individual, or whether he wears Botany suits, or has
19 them custom made in Italy, or whatever.

20 DR. KIESSLING: They may be able to do it,
21 but I thought it was interesting that the score is a 1.8
22 for this application, whereas for the other application on
23 the liver grant it was a similar concern, a very well-
24 established senior investigator, trying to do something

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 that they hadn't really done before in a good model
2 system, but that one scored in the three somethings, and
3 this one scored as a 1.8. So I think we're going to have
4 to put a yes. This goes in the funding category, but I
5 think we really should think about the best use of
6 taxpayer dollars for the grants.

7 DR. FISHBONE: There is a line in the
8 reviews that say that although he has not had experience
9 in generating hematopoietic cells, he has active -- he has
10 indicated active collaboration with others who have
11 expertise in this area.

12 DR. KIESSLING: Well so did the other
13 grant, right. I mean this is not that easy to do. This
14 is almost exactly the same criticism as the liver grant.

15 MS. TOWNSHEND: Dr. Hart?

16 DR. HART: So I wanted to, first of all,
17 point out, since he's using a form of humanized mouse,
18 that this actually work would now be illegal in Arizona,
19 for those of you that are concerned about (background
20 noise).

21 DR. KIESSLING: It's a new law in Arizona?

22 MR. MANDELKERN: Since, fortunately, we're
23 living in Connecticut --

24 DR. HART: -- specifically make illegal

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 human animal hybrids of any form.

2 MR. MANDELKERN: I would like to make the
3 comment that the money that's being requested is for
4 actually employing, as I saw it, mostly postdocs to
5 involve them in this work.

6 What more do we want than a senior
7 investigator, experienced in this humanized mouse model,
8 now employing four postdocs in his well-reputed lab to go
9 on with work that might be very, very productive, and then
10 we might hit the jackpot?

11 MS. TOWNSHEND: I think we're at a point
12 where this is -- Ann, correct me if I'm wrong. Would you
13 put this in the yes category or maybe?

14 DR. KIESSLING: We have to put it in the
15 yes category, but I think we just have to figure out
16 exactly how we want to do this, because we've got somebody
17 else with a senior investigator with a similar issue, but
18 this grant was, you know, clearly swayed the peer
19 reviewers, just because of its presentation.

20 MS. TOWNSHEND: Is that the consensus of
21 the group, that we put this in the yes category? This
22 goes in the yes category.

23 We're going to take a 15-minute break.
24 We're going to let CI update us when we come back, as to

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 where we are, in terms of yeses and maybes, and we'll
2 reconvene at 3:18.

3 DR. PESCATELLO: Is there any way the
4 maybes and the yeses could be (mike shut off) by subject
5 matter?

6 MS. TOWNSHEND: Chelsey? Categorized by
7 subject matter?

8 DR. PESCATELLO: Yes. In other words, if
9 we could look at all the reprogramming, if we could kind
10 of, rather than just go in order of the score, group them.

11 MS. TOWNSHEND: We'll just have to be very
12 conscious of that.

13 DR. PESCATELLO: If we could look at them
14 as a whole, like five of them together, rather than --

15 CHAIRPERSON GALVIN: Yeah. I think what
16 you're getting at, Paul, is we need a way to look at this
17 rather voluminous amount of information in a relatively
18 efficient fashion.

19 DR. PESCATELLO: Yes.

20 CHAIRPERSON GALVIN: Okay.

21 (Off the record)

22 MS. TOWNSHEND: Take your seats, please.

23 Dan, Chelsey, could you give us an update, as to where we
24 currently stand? For example, how many grants, in what

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 categories to which we said yes and maybe, and the amounts
2 for those categories?

3 MS. SARNECKY: Okay. So far, Dan is going
4 to add up how many we have for each type of grant, but we
5 do have some totals. So far, with the yeses and the
6 maybes, we have a little over 20 million dollars. The
7 yeses come out to about 10 million dollars, and the maybes
8 are -- I don't think that's right, Dan.

9 The maybes are a lot more than 10 million
10 dollars.

11 MS. TOWNSHEND: That's not correct, is it?

12 MS. SARNECKY: No.

13 MS. TOWNSHEND: Okay.

14 MS. SARNECKY: Just one sec.

15 MS. TOWNSHEND: I think it's about the
16 same, is it not, 10 million?

17 MR. WAGNER: So we have 37 total grants, 16
18 yeses, and we have it's split half and half, 10 million
19 yeses, 10 million maybes, 10.1 in each case.

20 MS. TOWNSHEND: How many seed, established
21 investigator and -- seven and nine?

22 MR. WAGNER: We have one group or core
23 maybe, we have seven yeses in seed, 13 maybes in seed, and
24 then about half and half in established.

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 A MALE VOICE: What is that number, the
2 half and half?

3 MR. WAGNER: About nine. Nine each, yeses
4 and nos, or yeses and maybes, so however you want to
5 start.

6 CHAIRPERSON GALVIN: We will be adjourning
7 at 4:00. Tomorrow, we will start at 8:30. It is my
8 opinion that we need some sort of a mechanism to decide
9 which of these grants we're going to fund and which of
10 them we are going to, if we decide that, partially fund.

11 Now one of the easier solutions is, if not
12 the easiest, is to just fund the yeses, and one would have
13 to think of what would make me take a yes and make it a
14 no? I don't know that on each individual grant.

15 I think that the group has to evolve some
16 standards about how they're going to evolve these things
17 and how we're going to make decisions. At the other end
18 of the decision making tree, we can take all the grants
19 that seem to have merit and give them, you know, \$100,000
20 each, and then everybody will get a little bit of money,
21 and nobody will go away empty-handed. That's the other
22 extreme.

23 I think, when we consider what are we here
24 for, we're here to make the best possible use of a skosh

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 under 10 million dollars. I believe, from what several of
2 the members have said here today, our emphasis has, at
3 this point, has been turning somewhat towards
4 translational work, rather than original basic research.
5 There is a lot of good work here, a lot of work that's
6 very highly rated.

7 I would hope that, as these get discussed,
8 we could avoid personalities and what we think this
9 investigator might do or think. I don't think, if I were
10 voting, I wouldn't want to vote on a postdoc just because
11 he was somebody's postdoc, unless I knew a little bit more
12 about the program.

13 Postdoc may be good, or he may be great, or
14 he may be equal to his boss, but you need as a group to
15 evolve what it is that you want to do. Do you want to go
16 through and separate out the ones you absolutely think
17 should be funded?

18 I do think that there's, with the larger
19 grants, that if they're spread over several years, even if
20 you cut a year off them, you begin to -- peeling them back
21 more than 15 percent really kind of is just giving them a
22 financial assist. I don't think some of the programs are
23 able to scale down from \$200,000 to 150.

24 They all can. Nobody is going to return

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 back the money if you give it to them, but if we're going
2 to discuss these one-by-one, we'll probably have to come
3 back next month and do it, so I would ask some of you, who
4 are the more thoughtful and introspective members of the
5 group, to decide how we're going to proceed from this
6 point to apportion the 9.8 million.

7 MR. MANDELKERN: If I may?

8 CHAIRPERSON GALVIN: Yeah. I think Milt
9 was first. Go ahead.

10 DR. WALLACK: Yeah, Bob, I've alluded to
11 this before, and I'll say it again. I think that our
12 intent, and I think it's a noble attempt, is to involve as
13 many people in the process as we possibly can, and since I
14 know that budgets are just that, they're estimates, I
15 wouldn't have a problem in judiciously adjusting a budget.
16 We've done it before. It seems to have worked.

17 Also, couple that with the idea of, and I'm
18 looking at the first one, and we were just trying to find
19 how many years that is, you know, maybe reducing a four-
20 year to a three-year or some other formula, so I don't
21 know if we have to go through every single grant and
22 rediscuss it.

23 I'm comfortable with some formula that I
24 just discussed.

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 CHAIRPERSON GALVIN: Well I have some
2 problems with saying, okay, I'm going to take Dr. Wang's
3 grant and cut him back, he or she back to \$160,000, but
4 I'm not going to touch Dr. Cheng's grant. How do I come
5 to that conclusion about whose budget, and we've had this
6 discussion before, and I think we ended up at the point
7 where we said we'll cut everybody by 10 percent, or 15
8 percent, but that's not going to satisfy our needs.

9 We've got twice as much grant, people
10 looking for grants as we have money, so what is going to
11 be -- I'll be with you in just a moment, Bob. Be patient.

12 We have twice as much money as we have
13 people looking for grants, so how do we decide on a fair
14 scheme to do that, or do we pick and choose, or do we go
15 back and reduce incrementally? I don't know how to do
16 that, and if Bob knows how to do it, then --

17 MR. MANDELKERN: No, I don't know how to do
18 it, and I have a fairly not introspective rational
19 approach. I know we're scheduled to go another 40
20 minutes. I don't believe we can complete our work
21 reasonably and justifiably in the next 40 minutes.

22 I would propose that we get an accurate
23 count of the categories and that we adjourn and resume
24 tomorrow morning when we can do justice to all the maybes

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 and the maybe/yeses and the yes/maybes. I, for one,
2 cannot do it any longer tonight with justice to all the
3 proposals.

4 CHAIRPERSON GALVIN: We're not looking at
5 any proposals. We're just trying to figure out what sort
6 of scheme we're going to use tomorrow to evaluate them, so
7 we're not looking at anything, specifically, but we have
8 to have some kind of idea than sit here and twiddle our
9 thumbs in the morning and say a lot of good grants here,
10 too many grants, not enough money.

11 DR. KIESSLING: One of the things that I
12 think is sort of a side that we need to decide as a group
13 is do we want to fund the core? The core is a maybe, and
14 we talked about that earlier. Do we want to have it go
15 into the category of like senior investigator, or what do
16 we want to do with the core?

17 DR. PESCATELLO: Also, would it be helpful
18 to scroll through the yeses and maybes amongst the whole
19 group in the remaining 40 minutes and categorize them,
20 attach one, or two, or three key words, labels to them, so
21 that we could, then, tomorrow use those key words as a way
22 to look at the different categories?

23 CHAIRPERSON GALVIN: It would have been a
24 lot easier for us to do that instead of having to

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 reconstruct everybody's memory, but we could certainly
2 start going --

3 DR. PESCATELLO: We could have the
4 reviewers on the committee do it, give the key words.

5 CHAIRPERSON GALVIN: Yeah, we could do
6 that.

7 DR. PESCATELLO: If that would be helpful.

8 DR. FISHBONE: I was wondering if one
9 possibility would be to look at the maybes and decide,
10 first of all, whether those are yeses or nos. Now that
11 we've seen the whole package, we probably are better able
12 to say about the maybes that maybe should be a yes or
13 should be a no.

14 CHAIRPERSON GALVIN: I like Paul's idea.
15 Why don't we just scroll through and put a couple of three
16 words, so when we come back tomorrow, we get a good idea,
17 a better idea? Does that work?

18 DR. LATHAM: I have a slightly different
19 suggestion, at least with regard to the seeds this might
20 work. It may work for the others, as well.

21 If we treat this as sort of a consent
22 agenda and basically say we're going to have to say no to
23 the maybes, because we've funded too much already on the
24 yeses, unless someone, who is part of the reviewing team

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 or is particularly familiar, really wants to raise one of
2 the maybes for discussion, so what we could then do is
3 sort of dismiss the entire category of maybes for seed
4 grants, except for whichever ones happen to have an
5 advocate around the table, who really wants to raise them
6 and say, no, this one should be a yes for some reason.

7 That way, I think we could get rid of
8 probably quite a few in bulk and only hear from the ones
9 that have a real advocate around the table.

10 CHAIRPERSON GALVIN: I think that's a good
11 suggestion, and I think, from the point of, okay, if you
12 take a maybe, you're going to have to knock a yes off,
13 pretty much. Mike?

14 DR. GENEL: I support what Steve has
15 proposed, but can you tell us how many of the seeds --
16 what have we approved in the seeds so far we've said we
17 would fund? Seven? So we've said seven.

18 I think we should be able to fund many more
19 seeds than that. I sort of arbitrarily had a three-
20 million-dollar sort of, even four-million-dollar level in
21 mind, because I think that's where we get the greatest
22 bang for our buck, frankly, so I think we need to --

23 MR. WAGNER: If you fund all of them, it's
24 3.8, just under 3.8, all of the seeds.

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 DR. GENEL: All of the seeds are 3.8?

2 MR. WAGNER: Um-hum.

3 DR. GENEL: Oh. Seven? It's got to be
4 more than seven.

5 MR. WAGNER: No. All the maybes and all
6 the yeses.

7 DR. GENEL: Oh, including the maybes?

8 MR. WAGNER: Um-hum.

9 DR. GENEL: Well, if you think about that,
10 that's 3.8. You know, I think maybe we ought to start
11 looking at how we're going to proportion out the money
12 here and then determine how much time to spend on various
13 categories.

14 I'm not uncomfortable with 3.8, because
15 that leaves us 6.2 million, six. That leaves us six.
16 Well it leaves us six million.

17 CHAIRPERSON GALVIN: That's six of all
18 those really good --

19 DR. GENEL: The sense I got was that none
20 of the group funds were rated well enough to even make the
21 maybe list, so that takes that off the list. The only
22 question is whether or not to fund the core, and we don't
23 have to fund it at the requested level, but it's not a
24 heck of a lot of money to begin with.

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 DR. KIESSLING: They're not asking, right.
2 They're not asking. It's two-year budget, really
3 reasonable. We just have to decide if we want to do the
4 core or if we want to do one of the senior investigator
5 grants. That's what it's going to come down to.

6 DR. GENEL: Well I would vote for doing the
7 core, frankly, but that's a decision. In any event, what
8 I'm suggesting is, if we sort of come up with some rough
9 parameters of how much money we want to put into each
10 category, I think it will be a lot easier to make these
11 determinations.

12 DR. WALLACK: Bob, I would second Steve's
13 suggestion and move right to it right now, and, that way,
14 at least we get that large group of requests out of the
15 way. We can do that.

16 CHAIRPERSON GALVIN: Okay. The motion has
17 been moved and seconded. Comments? Would you, Steve, put
18 the motion on?

19 DR. LATHAM: All right. When I suggested
20 it, I didn't actually mean to make it a motion, but all
21 right, I will, if people are asking me to, which is that I
22 move that we proceed, as follows, by treating the maybes
23 in the seed grant category as one large group and that we
24 not fund them, unless someone around the table wants to be

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 an advocate for one of them, and after discussion with
2 regard to the one that someone has raised, we move it into
3 the funding category.

4 And if no one wants to speak up and make an
5 argument for why a maybe seed grant should become a yes
6 seed grant, we should, in bulk, decide not to fund any of
7 the remaining maybes.

8 DR. PESCATELLO: I would second we proceed
9 with that immediately. That would mean 1.4 million?

10 DR. WALLACK: No. Paul, if somebody wants
11 to from the maybes include that, that would be included.

12 DR. PESCATELLO: But if no one advocated
13 for any maybes, how much money would it be? 1.4, okay.

14 CHAIRPERSON GALVIN: No. There's more
15 money than that.

16 DR. WALLACK: No, no. It's only seven, so
17 it would be 1.4.

18 DR. PESCATELLO: That's what led to Mike's
19 comment, that it would be such a small group.

20 CHAIRPERSON GALVIN: Well there's probably
21 going to be someone in the group who wants to advocate for
22 one or the other of the maybes, and there's room for that.

23 MR. MANDELKERN: I would like to comment
24 on the motion. We have spent five hours torturously

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 considering each grant whether it should be a yes/maybe,
2 or a maybe/yes, or a no, and now, in one swoop, we're
3 going to disregard all the efforts we made simply for the
4 sake of expediency.

5 I think the wise thing is not to do this,
6 but, in fairness to all the proposers, who put their guts
7 into these proposals and the peer reviewers, that we sleep
8 on it overnight and come back fresh, and then we can do
9 justice to all of it.

10 I don't think it's logical that, in five
11 minutes, we should put aside five hours of good work.

12 DR. WALLACK: Excuse me. Bob, if you want
13 to advocate for a particular grant, you have the ability
14 to do so, but if no one wants to do it, then their maybe
15 suggestion has -- seen all the rest of them, so I don't
16 see any problem with it at all. I would offer to call the
17 question.

18 MR. MANDELKERN: Well was that a direct
19 question to me?

20 DR. WALLACK: No, it's not a direct
21 question. I call the question.

22 CHAIRPERSON GALVIN: There's a motion on
23 the floor. The motion, basically, if I understand it, if
24 I can paraphrase it correctly, is, of our seed grants, we

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 are going to, that are maybes, we're going to make them
2 nos, with the exception of ones that may have particular
3 merit, which can be articulated by one or more members of
4 the group. Does that sound correct?

5 MS. HORN: I just would like to make one
6 comment, in terms of process, that to have a way that we
7 go through each one of the maybes, just raising it,
8 calling out the number, and giving people the opportunity
9 to advocate for it, rather than having that come sua
10 sponte, so to speak, so that somebody may get left out or
11 ignored. I think it's fairer to do it that way.

12 DR. WALLACK: That's very fair, and I think
13 it takes care of Mr. Mandelkern's concern. I agree.

14 MR. MANDELKERN: It does not take care of
15 my objection. I appreciate your concern, Dr. Wallack, but
16 it does not take care of my objection.

17 CHAIRPERSON GALVIN: We need a motion for
18 that, don't we?

19 MS. HORN: We can do it through a motion.

20 CHAIRPERSON GALVIN: Okay, then, I will let
21 you propose a motion.

22 MS. HORN: I'm not on the committee,
23 correct?

24 CHAIRPERSON GALVIN: You're my attorney.

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 MS. HORN: Adding the process to the motion
2 that was made by Steve Latham, that we take each one of
3 the maybe grants that's the seed grants and call out the
4 number, and if anybody advocates for it to be moved into
5 the yes column, that that be done by consensus, so there's
6 no consensus that it be done by vote, and we just move
7 through them that way, so that we know that we've
8 addressed each one of the maybes fairly.

9 CHAIRPERSON GALVIN: Dan?

10 MR. WAGNER: And in the brevity of time
11 here, I guess, you know, we have 20 minutes, and we're not
12 going to get through all the seeds, the discussions for
13 all of them. We're not going to finish.

14 DR. KIESSLING: We might.

15 MR. WAGNER: The maybes?

16 DR. KIESSLING: The maybes.

17 MR. WAGNER: We only have one core. I mean
18 that might be one that you could actually come to a
19 decision on today.

20 DR. KIESSLING: How many maybes are there
21 in the seed grants, Dan?

22 MR. WAGNER: Thirteen.

23 DR. KIESSLING: You can get through 13.

24 CHAIRPERSON GALVIN: You could get through

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 13.

2 DR. KIESSLING: Yeah. Go for it, and then
3 we'll know how much money we have for the core.

4 DR. FISHBONE: Call the question.

5 CHAIRPERSON GALVIN: Okay. Do we all
6 understand?

7 DR. FISHBONE: Do we have some idea of the
8 amount of money that we want to give out in seed grants?

9 DR. KIESSLING: No.

10 CHAIRPERSON GALVIN: No.

11 DR. FISHBONE: Should we have some idea?

12 DR. KIESSLING: No.

13 CHAIRPERSON GALVIN: No.

14 DR. FISHBONE: No? Okay.

15 CHAIRPERSON GALVIN: Okay. There's a
16 motion. A little bit more discussion, then I'm going to
17 call the question.

18 DR. GOLDHAMER: Are we doing this only for
19 the seeds?

20 CHAIRPERSON GALVIN: Yes.

21 DR. GOLDHAMER: And why? I'd like to know
22 the rationale for that.

23 DR. KIESSLING: We can get to the seed
24 tomorrow.

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 DR. GOLDHAMER: Oh, I see. So, tomorrow,
2 we would do the same thing with the --

3 DR. KIESSLING: Yes.

4 CHAIRPERSON GALVIN: Okay.

5 DR. DEES: Just one comment. I guess I
6 sort of think we're doing this backwards. I'd rather
7 actually do this with the investigators first, but maybe -
8 - I could see other people shaking their heads, because it
9 seems like there's a number of grants here that we might
10 want to say maybe.

11 If we have the money for it, we'd say, oh,
12 this is that much money, but I'll defer to others.

13 CHAIRPERSON GALVIN: Yeah, we've got 10
14 million dollars that we'd say yes to if we had another 10
15 million dollars, but we don't. There's a motion on the
16 floor. It's been moved and seconded. All in favor? Does
17 everybody understand what we're trying to do? All in
18 favor?

19 VOICES: Aye.

20 CHAIRPERSON GALVIN: Opposed?

21 VOICES: Opposed.

22 CHAIRPERSON GALVIN: Okay. The ayes carry
23 it. So want to start with that list?

24 MS. TOWNSHEND: We will start with the seed

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 grants. This is 10SCA40, Winifred Krueger, UConn, the
2 score was 5.0, and are there any objections to moving this
3 to the no category?

4 MR. WAGNER: Do you want to mention who the
5 reviewers are, so they could --

6 MS. TOWNSHEND: The reviewers are -- oh,
7 gosh. Goldhamer and Genel.

8 DR. LATHAM: I was one.

9 DR. GENEL: I was one. I think this was
10 scored much too low for the grant, frankly, and I would
11 fund it.

12 A MALE VOICE: There were two from Krueger.

13 DR. GENEL: Right. This is the higher one.
14 This is the one that was funded at five. The other one
15 was funded at six.

16 CHAIRPERSON GALVIN: Okay. What is the
17 consensus on Dr. Krueger's grant?

18 DR. HART: My understanding the motion was
19 that if someone wanted to fight for it, we'd leave it in
20 as a yes.

21 DR. GENEL: I'd say leave it in.

22 DR. LATHAM: Actually, I thought the idea
23 was that if someone wanted to fight for it, we would then
24 vote about whether we left it in or not, we'd be voting on

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 each one as we go down the list.

2 The idea is that we would save time only in
3 the circumstance in which no one was willing to fight for
4 one of these to be moved.

5 DR. PESCATELLO: Now is the time for
6 somebody to advocate for it. We have to be convinced.

7 MS. TOWNSHEND: So we should call -- unless
8 there's further discussion on this one, we should call for
9 a voice vote, Marianne?

10 MS. HORN: Yes.

11 CHAIRPERSON GALVIN: Because we have to
12 vote on each grant individually anyway.

13 MS. HORN: At the end.

14 MS. TOWNSHEND: Right. I understand, but
15 this is a vote for?

16 CHAIRPERSON GALVIN: Maybe to no.

17 MS. TOWNSHEND: This is a vote for maybe to
18 no. All those in favor? All those in favor, say "aye."

19 VOICES: Aye.

20 MS. TOWNSHEND: All those in favor of
21 moving this from maybe to no, please say "aye."

22 VOICES: Aye.

23 MS. TOWNSHEND: Opposed?

24 VOICES: Opposed.

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 MS. HORN: I think we have to go to a voice
2 vote, I mean a roll call.

3 MS. TOWNSHEND: I don't have a roll.

4 A MALE VOICE: So it's got to be a roll
5 call, excluding people with conflict.

6 MS. TOWNSHEND: Okay, so, this is 40?

7 COURT REPORTER: One moment, please.

8 CHAIRPERSON GALVIN: All right. This is
9 going to get very mixed up. We should start again in the
10 morning on the same agenda. Do you want to spend 15
11 minutes and discuss Dr. Antic's grant?

12 DR. FISHBONE: Yes. I think that's a good
13 idea, and leave everything else.

14 CHAIRPERSON GALVIN: And leave the rest
15 until the morning, when we're all bushy-faced and bright-
16 eyed.

17 DR. FISHBONE: Yeah.

18 MS. HORN: Sounds good. Then we'll have
19 our roll call.

20 CHAIRPERSON GALVIN: Okay? Now how about
21 10SCD01? That's a core grant. That's the core grant.

22 MS. HORN: Right now, it's a maybe.

23 MS. TOWNSHEND: So we're opening discussion
24 on --

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 CHAIRPERSON GALVIN: The core grant.

2 MS. TOWNSHEND: -- whether or not it should
3 be yes or no.

4 CHAIRPERSON GALVIN: Yes or no.

5 MS. TOWNSHEND: Dr. Hart?

6 DR. HART: My recollection of one of the
7 key points of the discussion was whether this was going to
8 translate to the entire community statewide.

9 The letters of support within the grant,
10 from my recollection, were all from UCHC. Is that
11 correct?

12 DR. KIESSLING: I was one of the reviewers.
13 I thought there was somebody. Well the Connecticut core
14 is also shared with Wesleyan, so I think that's a given.
15 Whether there was any support there from somebody from
16 Yale, I don't know.

17 MS. TOWNSHEND: Steve, you were the other
18 reviewer?

19 DR. LATHAM: Yeah. Certainly, the intent
20 is stated in the proposal to share the facility with
21 everyone around the state. I don't remember if there are
22 support letters from other universities, but one of the
23 concerns raised by the peer review group was whether they
24 had made realistic plans for sharing the capacity beyond

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 the local facility.

2 MS. TOWNSHEND: Further discussion?

3 CHAIRPERSON GALVIN: What would make us
4 move this grant into a yes?

5 DR. LATHAM: Well I think everyone looked
6 at it and thought it was a really good idea for a core.
7 It's a kind of facility that we don't have in the state
8 right now and would be of great deal of use for people
9 doing neuronal.

10 DR. KIESSLING: Yeah. Physically, it's
11 going to fund this investigator's lab, except for one
12 function, which was going to be in some other space, as I
13 remember. I don't know. I'm sort of on the fence about
14 this, because this would be a really unique resource.

15 There's a lot of need for this kind of
16 resource for people doing neuronal derivation. He's got a
17 table in his grant that I think he lists about 14 or 15
18 Connecticut-funded neuronal stem cell labs that would be
19 able to -- that need this core now. On the other hand,
20 it's \$600,000.

21 CHAIRPERSON GALVIN: But you can't be on
22 the fence anymore. Yes or no?

23 DR. LATHAM: There are no letters of
24 support from other universities. I've just been looking

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 down the list.

2 DR. KIESSLING: Okay.

3 CHAIRPERSON GALVIN: Okay? Yes?

4 MR. MANDELKERN: I would like to speak in
5 support of this grant. In view of the fact that of 90
6 applications the peer reviewers saw fit to give it the
7 second highest rank, it obviously fills a need we do not
8 have in Connecticut.

9 It's a new core that will be used widely, I
10 believe, by all stem cell researchers, and it's a very
11 modest cost of \$600,000 over three or four years. I don't
12 know how long the funding period is.

13 DR. KIESSLING: Two.

14 MR. MANDELKERN: What's that?

15 DR. KIESSLING: It's a two-year budget.

16 MR. MANDELKERN: It's a win/win situation,
17 I believe. Considering the dollars and the purpose and
18 the peer review and the enthusiasm, I think it's a win/win
19 situation for us.

20 CHAIRPERSON GALVIN: In regards to the peer
21 review, we agreed that this would not be our priority.
22 It's an impressive peer review, but what is it that will
23 push it? I think the group needs to be convinced of what
24 pushes it from maybe to yes. What do you think, Ann?

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 DR. KIESSLING: Well I'd actually like to
2 look at the budget again and see if it needs \$600,000. I
3 think that's reasonable to do. That's what we've done
4 with all the cores. We've carefully looked at their
5 budgets and decided if they really needed, because our
6 first cores needed five million each, remember?

7 I would be happy to look the budget over
8 tonight and decide if that's how much it needs.

9 CHAIRPERSON GALVIN: Okay. That's enough
10 for one day.

11 MS. TOWNSHEND: If I may? I just whispered
12 to the Commissioner. He suggested that I ask the group to
13 do this. If you would each this evening, when you have
14 some down time, look at the yeses and the maybes and come
15 back fresh in the morning with ideas, considerations,
16 questions, so that we can have or you can have a
17 discussion.

18 DR. GENEL: That's fine. Can I ask if the
19 list be e-mailed to us, because I have certainly not kept
20 a running total of them.

21 MS. SARNECKY: I was just going to say I
22 can e-mail this around to the group now.

23 MS. TOWNSHEND: That would be wonderful.
24 Thank you.

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 MS. SARNECKY: You're welcome.

2 DR. FISHBONE: Could I ask that the person
3 who put it into the maybe be prepared to speak a little
4 about why it's in the maybe?

5 MS. TOWNSHEND: Did we keep track of
6 actually who decided, because it was mainly a consensus of
7 who decided. Often, it was the recommendation of the two
8 reviewers, so it may be up to the two reviewers.

9 MS. SARNECKY: I think, if we just ask the
10 reviewers tomorrow morning to open up with their comments,
11 that would probably be a good process.

12 CHAIRPERSON GALVIN: Good idea.

13 MS. TOWNSHEND: We're not officially done,
14 so we don't need a motion to dismiss, just a reminder not
15 to talk amongst yourselves about any of the grants.

16 DR. LATHAM: I have something to say, which
17 is that, as I notified the staff about two months ago, I'm
18 not able to come tomorrow, and this, therefore, is the end
19 of my last meeting with this august body, because, as you
20 know, I've submitted my resignation, so I will miss you
21 all.

22 If there's anything that I can do to
23 facilitate tomorrow, in terms of sending you an e-mail or
24 something like that, I can work more tonight to get that

RE: CONNECTICUT STEM CELL RESEARCH GRANT REVIEW
JUNE 7, 2010

1 done. I understand that there's not a quorum problem with
2 my being absent tomorrow on the UConn side of the vote.
3 So thank you, all.

4 MS. TOWNSHEND: Thank you. Your service is
5 much appreciated. (Applause)

6 CHAIRPERSON GALVIN: Good luck to you, and
7 you'll be missed. I will personally miss you a great
8 deal. I don't usually say that.

9 MS. TOWNSHEND: We will gather again at
10 8:30 tomorrow morning. Those of you who need a ride back
11 to the hotel, I will be leaving at 4:00.

12 (Whereupon, the meeting adjourned at 3:50
13 p.m.)

14